

IDAHO NATIONAL ENGINEERING  
ENVIRONMENTAL LABORATORY PUBLIC MEETING

Proposed Cleanup Plans for Naval Reactors Facility  
and Argonne National Laboratory-West

**FINAL**

January 20, 1998

Boise, Idaho

6:30 p.m.

***ORIGINAL***

Nancy Schwartz Reporting  
2421 Anderson Street  
Boise, Idaho 83702  
(208) 345-2773

1 BOISE, IDAHO, TUESDAY, JANUARY 20, 1998

2  
3 MR. SIMPSON: Welcome to tonight's  
4 meeting. I'm Erik Simpson. I am the Community  
5 Relations Plan Coordinator for the INEEL  
6 Environmental Restoration Program.

7 We're here tonight to discuss  
8 the results of two Comprehensive  
9 Remedial Investigation/Feasibility Studies. The  
10 first that we are going to be addressing tonight  
11 involves the Naval Reactors Facility, which is  
12 managed by the DOE Naval Reactors branch. The  
13 second involves Argonne National Laboratory-West,  
14 which is managed by the DOE-Chicago operation's  
15 office because of its ties to the University of  
16 Chicago.

17 As you will see from both presentations  
18 tonight, each of these facilities has played an  
19 instrumental role in furthering our nations'  
20 nuclear reactor technology. And tonight we're  
21 going to be discussing the resulting contamination  
22 at those facilities and what the Department of  
23 Energy, State of Idaho and Environmental Protection  
24 Agency are proposing for clean up.

25 This meeting represents the 16th time

1     that we've taken a proposed plan out for public  
2     comment. The last time we were in Boise was the  
3     spring of 1997 when we discussed the comprehensive  
4     investigation for the Test Reactor Area. DOE, EPA  
5     and the state of Idaho recently signed a Record of  
6     Decision on that project, and we have the document  
7     at the back of the room here, if anyone would like  
8     to review it. And if you would like a copy of that  
9     document, see me at a break or after the meeting,  
10    and I will take your name and your address.

11           I should also mention that we have  
12    several other documents. We have fact sheets. We  
13    have the INEEL Reporter. We have some Citizens'  
14    Guides and other documents.

15           I would like to go through the agenda  
16    with you right now. Following the introduction,  
17    Rick Nieslanik is going to be giving an overview of  
18    the Superfund process and how we conduct risk  
19    assessments. And then I'm going to turn it over to  
20    Margi English and Keith Rose, who represent the  
21    state of Idaho and EPA, respectively, for the  
22    Naval Reactors Facility project.

23           Following that, we will go right into  
24    the presentation on the Naval Reactors Facility  
25    Comprehensive Investigation where Andy Richardson,

1 Mark Hutchison and Bruce Olenick will talk about  
2 the results.

3 A slight change to the agenda. I think  
4 what we're going to do is, if you have questions  
5 during the presentation, just feel free to stop the  
6 presenter. And after the first presentation, we  
7 will have the formal comment period where you can  
8 comment on the record. We have a court reporter  
9 here tonight who is recording all portions of this  
10 meeting. And I will talk a little bit more about  
11 that later on.

12 Also each proposed plan has a comment  
13 form on the back page, and you can fill that out  
14 and submit it here or you can take it home and just  
15 fold it and put it in the mail. It has a return  
16 mailer.

17 After the first public comment period,  
18 we will take about a 10-minute break, and then we  
19 will repeat the format for Argonne. Daryl Koch and  
20 Kieth Rose are the state and EPA counterparts for  
21 Argonne National Laboratory West. And then  
22 Greg Bass and Scott Lee will be giving the  
23 presentation. And, once again, feel free to stop  
24 the presenter during that presentation, too, if you  
25 have questions. And then we will have the formal

1       comment period after that.

2               I should mention, also, that we have a  
3       brief evaluation form on the back of the agenda,  
4       and please take a few moments, either during the  
5       meeting or after it, to fill it out and give it to  
6       us. We will use your comments to shape some of our  
7       future public meetings that we have coming up this  
8       spring.

9               At this point I would like to introduce  
10       Rick Nieslanik. He has been with the Environmental  
11       Restoration Program since the beginning, and he  
12       will talk about the Superfund process and something  
13       that is common to both of these projects, which is  
14       risk assessment.

15              MR. NIESLANIK: Thanks, Erik. The first  
16       thing I want talk about is to give you an overview  
17       of the process that we used in investigating the  
18       sites at both the Naval Reactors Facility and at  
19       Argonne National Lab West. One of things that you  
20       will see as you hear the two presentations tonight  
21       are some similarities between the two sites and  
22       some difference.

23              One similarity is the process that was  
24       used. That was the same at both sites. The  
25       differences are the results of site-specific

1 conditions that they found during the investigation  
2 process. The work that we're doing here is  
3 governed by the Comprehensive Environmental  
4 Response Compensation and Liability Act. It's  
5 quite a mouthful, so we use the acronym CERCLA.  
6 You will also hear us refer to that sometimes as  
7 Superfund. And that is just another name for this  
8 regulation.

9 The three agencies involved out at the  
10 INEEL, Idaho Division of Environmental Quality, the  
11 U.S. EPA and the Department of Energy, got together  
12 and worked out an agreement called the Federal  
13 Facility Agreement and Consent Order, which governs  
14 how the three agencies work together in doing these  
15 investigations and establishes some enforceable  
16 deadlines and penalties, listed the sites that  
17 needed to be investigated, and, in general, to  
18 establish the process to use, the procedures to use  
19 and the overall effort to investigate these sites.

20 In this Federal Facility Agreement, it  
21 identifies Track 1 and Track 2 processes. This  
22 process is a scoping effort. When you look at all  
23 the different sites affiliated with these  
24 individual facilities, you have to get your arms  
25 around the scope of these: How much do we know

1       about them? What do we need to know? And where do  
2       we go once we figure out where the sites are?

3               In the Track 1 process, we took all of  
4       the existing data that we had on a particular  
5       site, we reviewed that data and decided whether or  
6       not we needed more data, whether we had enough data  
7       to decide no additional work needed to be done or  
8       possibly that some removal action was necessary.

9               If we determined that more data was  
10       needed, then we moved to a Track 2 scoping  
11       process. In a Track 2 we did a limited amount of  
12       sampling. We would take just enough samples to  
13       determine what additional information was needed.  
14       Again, if during either one of these scoping  
15       processes we found that there was contamination in  
16       the soil, that we had enough data to go deal with  
17       that contamination, then, in fact, we did a removal  
18       action or an interim action.

19               The difference between a removal action  
20       and interim action is just size. A removal action  
21       is a small job that could be done quickly. Interim  
22       action was a bigger job that required more  
23       planning, more investigation and more input on  
24       what to do.

25               If during these scoping efforts, we

1 found, we did a Track 1, we did a Track 2, and we  
2 still didn't feel that we had enough information to  
3 make a decision, then we moved to what was called a  
4 Remedial Investigation and Feasibility Study. This  
5 process is outlined in the guidance from the  
6 regulations. And it includes a detailed sampling  
7 evolution that allowed you to fully characterize a  
8 particular site.

9 Each of the sites also did what is  
10 called a Comprehensive Remedial Investigation  
11 Feasibility Study. Now, the difference between  
12 this one and this one is that this was geared for a  
13 particular area. The Comprehensive Remedial  
14 Investigation and Feasibility Study brought back  
15 into play all of these scoping efforts that we did  
16 early on, all the removal actions, all the interim  
17 actions so we have one single Record of Decision  
18 that ties all that together.

19 In every one of these different  
20 processes, the scoping, the Remedial Investigation  
21 Feasibility Study, the Comprehensive, there is an  
22 element of risk assessment involved in all of  
23 those. The risk assessment process is outlined in  
24 the regulations. It gives us a framework to gather  
25 the information that we need in order to make



1 decisions on what to clean up. And that process,  
2 we identify the contaminants that are present and  
3 what levels they are, where they are and what they  
4 are, then we assess the toxicity of each one of  
5 those contaminants. We assess the exposure that a  
6 person would receive from each one of those  
7 contaminants, then we combine these two steps to  
8 give a risk characterization: How do we  
9 characterize that risk to help us in our decision?

10 The first part of that, or the exposure  
11 assessment part of that, looks at the different  
12 pathways. If you have some contaminated soil here,  
13 what are the pathways that would get this  
14 contamination to an individual for exposure. We  
15 also looked at how it would affect ecological  
16 receptors: antelopes, rodents, birds, plants, all  
17 the different ecological receptors that are in the  
18 area.

19 Those pathways that we looked at, first  
20 of all, was groundwater. If there is contamination  
21 here and there is rain water that falls on it, it  
22 could be pushed down into the groundwater. It  
23 could then be pumped to the surface. A person  
24 could then ingest that; they could drink it. They  
25 could shower in it and inhale the water vapors and

1     get the water on their skin. So groundwater  
2     pathway was one of the exposure pathways that we  
3     looked at. Dermal exposure, if we are digging in  
4     the soil, and we get that soil on your hand and  
5     have contaminants, those contaminants can soak  
6     through your skin and give you an exposure.

7             For radioactive constituents, we also  
8     have direct radiation. The energy coming off of  
9     that radioactive material, a person can be exposed  
10    to the energy coming off that radioactive  
11    material. There is also an inhalation pathway.  
12    These contaminants could become airborne either in  
13    vapor or dust, and a person could inhale that and  
14    get an exposure.

15            There is also soil ingestion. There is  
16    a certain amount of soil that we all ingest through  
17    our daily life, and we looked at ingesting some  
18    that contaminated soil.

19            And, finally, we looked at crop  
20    ingestion. If we grew crops in this contaminated  
21    soil, and we irrigated those crops with  
22    contaminated groundwater, what would the exposure  
23    be to an individual who ate those crops?

24            After you go off and look at the  
25    exposure to an individual, now we have to assess

1 the toxicity of each of those contaminants. There  
2 are two things that we look at. One is  
3 carcinogenic contaminants and the other is  
4 noncarcinogenic contaminants. So the carcinogenic  
5 contaminants, those things that cause cancer, we  
6 use what's called a slope factor. A slope factor  
7 is a published value that the EPA puts out. They  
8 look at all the different contaminants, all the  
9 different research that has been done on those  
10 different contaminants, and they come up with a  
11 dose response curve. So for some given dose, you  
12 have some risk. So the greater the dose, the  
13 greater the risk. We then used this value, this  
14 risk value to compare to a standard value.

15 We all have a different perception of  
16 risk, of what is an acceptable risk. Some people  
17 feel it's certainly an acceptable risk to fly in an  
18 airplane. Other people may feel that flying in an  
19 airplane is an unacceptable risk. When you drive,  
20 you make a risk decision. Is it an acceptable risk  
21 to drive 75 miles an hour or is that an  
22 unacceptable risk? We all make personal risk  
23 assessments, personal risks evaluations in  
24 everything that we do.

25 But when these agencies go to make a

1 risk decision, they have to have something to refer  
2 to that is a standard on what is an acceptable  
3 risk. In the guidance documents for the CERCLA  
4 regulations, they define what an acceptable risk  
5 is. They say that the acceptable risk range is an  
6 increase in cancer of one in one million to one in  
7 10,000.

8 So when we go through our exposure  
9 assessment, that I talked about earlier, and take  
10 into account our slope factor, we come up with a  
11 number that fits somewhere on this chart. The risk  
12 is somewhere between one in one million and one in  
13 10,000, that is acceptable. If it's above this one  
14 in 10,000, now we need to evaluate that and say:  
15 What cleanup actions need to be done based on that  
16 risk value?

17 There are cases where the risk in this  
18 range may be deemed to be unacceptable, and we need  
19 to take an action. But that is usually based on  
20 some uncertainty that was found in the  
21 calculations, and there is some additional  
22 information rather than just to a risk value.

23 For noncarcinogenic toxicity, we use a  
24 value called a reference dose. Again, this is  
25 published value. It's a value that we get from the

1 EPA, from their reference document. And it's based  
2 upon what they call a no observable adverse effect  
3 level.

4 Again, this is based on a lot of  
5 different research efforts, evaluation of all  
6 those, and then they apply what they call modifying  
7 factors to this value to come up with this  
8 reference dose. We use the reference dose to  
9 compare it back to the calculation that we did on  
10 the exposure, and we ratio those. If our exposure  
11 is equal to the reference dose, then we have what  
12 we call a hazard quotient equal to one. They are  
13 the same. If the hazard quotient is greater than  
14 one that means our calculated exposure is  
15 greater than this reference dose. The other side  
16 of that, of course, is if it's less than one, then  
17 our calculated exposure is somewhere down here in  
18 this range.

19 It's important to note that down in  
20 here, we would not expect for see any adverse  
21 effect on human health because it's below this  
22 observable adverse effect range. It's below the  
23 reference dose. The guidance, the CERCLA guidance,  
24 again, defines what this hazard quotient of one is  
25 equal to. That does not mean that if you have a

1 hazard quotient slightly greater than one, that  
2 that is not acceptable. What it means is, you have  
3 to go back to your calculations to look at your  
4 uncertainty in those calculations. You have to go  
5 back to your reference value and say, Is this  
6 higher hazard quotient acceptable? Are we in a  
7 range where there is still no observable adverse  
8 effect?

9 Now, as you listen to the presentations  
10 later tonight on the different projects, they are  
11 going to talk about these values. They are going  
12 to talk about hazard quotients, and they are going  
13 to talk about acceptable risk values and calculated  
14 risk based on the investigations that they did.

15 I want you to keep in mind when you're  
16 doing that to remember what the process is. These  
17 are prescribed calculations that are in the  
18 guidance from the regulations, and they are used  
19 for risk-management decisions. They are  
20 decision-making tools. They are not trying to  
21 predict the number of cancers that might result.  
22 They are strictly a method of calculating risk so  
23 you can compare it to a standard to make a decision  
24 on what clean-up actions are appropriate.

25 Does anybody have any questions on any

1 of that?

2 AUDIENCE MEMBER: Would you go back to  
3 the previous slide for just a moment? I apologize  
4 for being late. What was the baseline, then, for  
5 the two risk levels?

6 MR. NIESLANIK: One in one million and  
7 one in 10,000. In the National Contingency Plan,  
8 which is one of the documents that came out of the  
9 CERCLA regulations, that is the Comprehensive  
10 Environmental Response and Compensation Act, and it  
11 defines an acceptable risk range. It says that the  
12 point of departure for risk is one in one million,  
13 and that acceptable risk is up to one in 10,000.  
14 That means anything down here really is  
15 "De Minimis." It is so small that we don't need to  
16 consider it. But this is the range that we need to  
17 then consider as acceptable risk. Anything above  
18 that, we need to look at for clean-up action. Does  
19 that answer your question?

20 AUDIENCE MEMBER: Almost. The range was  
21 based on what baseline factors?

22 MR. NIESLANIK: Based on what baseline  
23 factors?

24 AUDIENCE MEMBER: The numbers of  
25 incidence of cancer prior to a certain date or --

1                   MR. NIESLANIK: No, again, this is the  
2 decision-making tool. It's a range that they set  
3 up, or that they established based upon the  
4 calculations that we do.

5                   In other words, we have a method of  
6 calculating exposure, and we have to have something  
7 to compare it to. If you wanted to  
8 use as an example or standard, the average  
9 individual has a one in five chance of getting  
10 cancer. We're talking about one in one million  
11 chance. So if you added that one additional  
12 cancer above your standard, so I have a one in five  
13 chance of getting cancer. If I take that into  
14 account, one in 10,000, I now have a chance  
15 one in 5.0001, a very small increase above what you  
16 normally would expect a cancer risk.

17                  AUDIENCE MEMBER: Baseline is normal?

18                  MR. NIESLANIK: Right, above normal.

19                  AUDIENCE MEMBER: I guess the best way  
20 to say it is chronic lifetime exposure. What we're  
21 talking about is the additional chronic lifetime  
22 exposure.

23                  MR. SIMPSON: At this time I would like  
24 to introduce the agency counterparts for the Naval  
25 Reactors Facility project. We have Margi English



1 with the state of Idaho, Department of Health and  
2 Welfare Division of Environmental Quality; and  
3 Keith Rose with the EPA's Regional office in  
4 Seattle. They are both going to make a few  
5 statements.

6 MS. ENGLISH: Thank you, Erik. I've  
7 worked with the other agencies addressing potential  
8 past contaminations problems at the NRF for the  
9 past five and a half years. During that time that  
10 I've been working on this project, we have fully  
11 evaluated certain sites and have successfully  
12 completed a couple of removal actions as well as a  
13 remedial action at the NRF.

14 These past cleanups were completed on  
15 schedule and within budget. So at this point in  
16 time what we have decided, where we are focusing  
17 out attention are the remaining potential past  
18 release sites on the Naval Reactors Facility.

19 The state has been involved during this  
20 process in developing the investigation and the  
21 risk assessment for these sites, which you see  
22 identified in your proposed plan.

23 We have also participated with our NRF  
24 and our EPA counterparts in developing and  
25 screening the potential remedial alternatives to

1 address these sites.

2 I do want to emphasize at this point in  
3 time that we are seeking public participation in  
4 the remedy selection process. And what I want to  
5 emphasize is that although you'll see in the  
6 proposed plans, Preferred Alternative or a clean-up  
7 recommendation, the agencies at this time have not  
8 selected a clean-up remedy to implement.

9 So I really want to encourage you to  
10 participate in the process and to offer your  
11 opinions and recommendations on not only the  
12 Preferred Alternative, but also all the other  
13 alternatives that are in the proposed plans as well  
14 as any others that you think the agency should have  
15 considered. And we will use your opinions and your  
16 recommendations to help us select a remedy, a final  
17 remedy for these sites, which will then be  
18 documented in a Record of Decision, which will be  
19 finalized later this year.

20 Also if, during this evening or later  
21 on, you have any questions about the sites or the  
22 remedy selection process, please don't hesitate to  
23 ask those questions. And we, members of the  
24 agencies, will try to answer your questions, or if  
25 we can't answer them now, we will get answers and

1 get back to you. So, with that, I will turn it  
2 over to Keith.

3 MR. ROSE: The Environmental Protection  
4 Agency has been involved in the development of the  
5 Remedial Investigation and Feasibility Study for  
6 the Naval Reactors Facility and has commented on,  
7 reviewed and commented concurred, or given approval  
8 to these documents and has also been involved in  
9 the development of the proposed plan, which  
10 evaluates a whole range of feasible alternatives  
11 for addressing the contamination at the site.

12 We have given our concurrence to  
13 that proposed plans. It represents a range of  
14 alternatives which satisfy the requirements of a  
15 CERCLA or Superfund clean up, and now we're into  
16 the public comment period. We received comments  
17 from the public. We will take those comments along  
18 with using the nine evaluation criteria that are  
19 specified under Superfund to work with the state  
20 and with the Department of Energy to select a final  
21 alternative, which will be in the form of Record of  
22 Decision to be issued later on this year.

23 Just to summarize the nine criteria that  
24 we use. There are two, what we call threshold  
25 criteria. They are overall protection of human

1 health and the environment, how well the  
2 alternative meets the regulatory requirements, is  
3 the second one, and then there are balancing  
4 criteria, which include short-term effectiveness,  
5 long-term effectiveness, implementability,  
6 reduction of mobility, volume or toxicity through  
7 treatment, and then there is cost and State  
8 approval and, finally, community approval input.

9 We will weigh all those criteria in the  
10 process of determining what the final alternative  
11 will be. So we look forward to receiving comments  
12 from the public. If you have any questions of me,  
13 you can catch me after this meeting. Thank you.

14 MR. SIMPSON: At this time I would like  
15 to turn it over to Andy Richardson, who is with the  
16 DOE Naval Reactors. He will give a brief summary  
17 of the history of the Naval Reactors and then  
18 also a brief summary of the Comprehensive  
19 Investigation.

20 MR. RICHARDSON: Thanks, Erik. Good  
21 evening. As Erik said, I'm Andy Richardson. I'm  
22 with the Naval Reactors Idaho branch office, Naval  
23 Reactors Facility.

24 I want to give you a little bit of  
25 background why we're here, why we have some areas

1       that we think that we need to clean up, because  
2       that is what this all is really about, how we got  
3       to this point. Back in the late -- actually, the  
4       late 1940s, the word came down from Congress and  
5       the President to then Captain Rickover, go build a  
6       nuclear submarine, let us know when you're done and  
7       do it right. So that is what Captain Rickover went  
8       off to do.

9                 In the course of developing that program  
10       in 1951, we established the Naval Reactors Facility  
11       what was then called the National Reactor Testing  
12       Station. Since -- as you may have noticed, things  
13       happened a whole lot faster in the '50s than they  
14       happen in the '90s. By March of 1953 this project,  
15       which was the first reactor plant that we built  
16       called the S1W prototype, was completed and  
17       operating at power.

18                But, again, this being the '50s and  
19       utilizing the technology at hand at that time, part  
20       of the construction of that plant resulted in using  
21       a discharge system for radioactive liquids that,  
22       essentially, sent some of the liquids out into  
23       what is called a tile drain field, which is,  
24       essentially, a pipe that is buried about 10 feet  
25       below the ground and has a bunch of holes in it.

1     You take the radioactive liquid, put it out, the  
2     water leached out into the soil, hopefully, and as  
3     our studies have shown rather effectively, those  
4     contaminants got entrained in the soil about  
5     10 feet below the surface.

6             So that worked fine for a couple years.  
7     And around 1955 they decided to expand this system  
8     and build what is called the SW1 leaching pit. So  
9     then we sent some of those radioactive discharges  
10    out to the leaching pit. Shortly -- or about the  
11    same time or a year or two later Congress had come  
12    back and said, "Oh, by the way, while you're at it,  
13    we would like you to build us a nuclear aircraft  
14    carrier." So, once again, out here at the Naval  
15    Reactors Facility, we built a prototype plant for  
16    what was to become the USS Enterprise, the first  
17    nuclear-powered aircraft carrier, which,  
18    interestingly enough, is still in operation, and  
19    they are making a lot of commercials with it.

20            We built the A1W prototype. It was  
21    operating in 1957. It had a similar system. Down  
22    here to the west side of the Naval Reactors  
23    Facility, we had a leaching system. The  
24    radioactive missiles were sent out to bed,  
25    entrained the containments in the soil, and we

1       operated on it.

2               Still in the late '50s we had some  
3       experience with nuclear-powered ships. We had  
4       taken some of the spent cores out of the ships.  
5       And the program decided it would be a very good  
6       idea, and still think it's a very good idea, to go  
7       off and study those spent cores: Did those reactor  
8       cores operate the way we expected them to? It  
9       allowed us to confirm all the theoretical design  
10      work; and two, to build upon that experience so we  
11      could build even better and better cores.

12             To do that we constructed the expending  
13      core facility here on the north end of the Naval  
14      Reactors Facility. It started out as a building  
15      only about this big and has numerous expansions  
16      over the years. As part of that building, we built  
17      water pools that we use to store that spent fuel  
18      while we do the examinations. Again, that water  
19      has some residual radioactive contamination in it.  
20      A very small levels, but it's there. And some of  
21      that water, in fact, was piped over to this S1W at  
22      this point what I call the drain field complex.

23             So we're marching along. We're  
24      inspecting our fuel. We're doing research and  
25      development on our reactor plants. We're training

1 sailors on how to run those plants so they can take  
2 them out in the fleet and let them run in the  
3 ocean.

4 And in the mid-'60s we built a third  
5 prototype plant called the S5G prototype. There  
6 was some change in some of the technology. The two  
7 main benefits to using that plant were the fact  
8 that it used what is called natural circulation.  
9 The difference in the temperature of the water, to  
10 actually move that cooling water through the  
11 reactor. That did a couple very important things  
12 for us. It made our submarines much more quiet.  
13 You don't have these big pumps pushing that water  
14 through. The submarines can be more quite and much  
15 more effective. Also, it's a very safe design  
16 because even if you lost power, that cooling water  
17 would continue to circulate through the reactor.  
18 So it was a pretty major step.

19 At about the same time that we were  
20 building and placing the S5G plant in operation in  
21 the mid-'60s, mid to late-'60s, most everybody  
22 decided that maybe putting this water out and  
23 letting it soak into the ground to entrain this  
24 containment wasn't the best way to handle that  
25 material. We could probably do a better job.



1                   By the early '70s, we already started  
2                   doing some development work on how can we recycle  
3                   this radioactive water so we don't have to put it  
4                   out in the ground anymore. By 1979 we finished  
5                   discharging any of this radioactive water out to  
6                   these leaching beds.

7                   So that is how we got to the point  
8                   where we've identified these nine sites that in  
9                   this entire comprehensive look that we have taken  
10                  at the Naval Reactors Facility, we found these nine  
11                  sites that we really think that we need to go off  
12                  and do something. We think that there is going to  
13                  be some clean up required. In fact, we know in  
14                  some cases we will find something that we will have  
15                  to do.

16                  Again, that is taken in conjunction with  
17                  all the other 71 sites or so that we've looked at  
18                  in doing this comprehensive study of what we have  
19                  to do. That is sort of the background how we got  
20                  to where we're at. Are there any questions on  
21                  that?

22                  Okay. If not, I would like to turn it  
23                  over to Mark Hutchison. He is the senior engineer  
24                  who works at Westinghouse at the Naval Reactors  
25                  Facility and did an awful lot, if not all of

1        putting this information together in a form that we  
2        can use as decision makers to figure out what we  
3        have to go clean up.    So, Mark.

4                    MR. HUTCHISON:    Good evening,  
5        everybody.    I'm going to ask you to bear with me.  
6        I'm having some sinus problems and with my  
7        medication I'm taking for it, I'm floating around  
8        the room right now.    I'll make sure that I push the  
9        right buttons here.

10                   To begin with, I would like to give a  
11        brief overview of the CERCLA process at the Naval  
12        Reactors Facility.    We have 71 sites identified at  
13        the Naval Reactors Facility that required us to go  
14        off and do an evaluation, do an assessment on  
15        them.

16                   Of those 71, 10 of those sites were  
17        included in a previous Record of Decision.    Of  
18        those 10 sites, three of them included landfill  
19        covers that we put over some landfill areas.    We  
20        had 43 other sites that we looked at and did Track  
21        1, Track 2 type investigations that Rick had  
22        discussed earlier on.    Those 43 sites, it was  
23        determined that no further investigation was  
24        required for those sites.    That left us with 18  
25        individual sites that we still had to assess.

1                   That brings us to our Comprehensive  
2 Remedial Investigation and Feasibility Study, which  
3 we sometimes call RI/FS, but I will try to call it  
4 the comprehensive study. That involved these  
5 18 sites. It involved what we called a cumulative  
6 assessment, which I will discuss a little bit  
7 later, and that led to our conclusion that we had  
8 nine sites of concern that Andy has already  
9 discussed that are on that board.

10                   That brings us up to where we're at  
11 right now, which is the public comment where we're  
12 getting input from the public. We want your  
13 comments. We want to know what your concerns are.  
14 We will look at those comments and come up with a  
15 Record of Decision. The Record of Decision will  
16 have a Responsiveness Summary, which we will take  
17 all the comments that we receive, evaluate them and  
18 provide responses to them and possibly changes to  
19 our plans. And beyond that, we will go into a  
20 remedial action/remedial design phase, which  
21 includes some monitoring. And even further down  
22 the road, we do five-year reviews where we look at  
23 the effectiveness of the actions that we're  
24 proposing to take.

25                   The comprehensive study involved five

1 primary tasks. The first task was an individual  
2 assessment of these 18 potentially radiological  
3 sites. It included a cumulative assessment of all  
4 71 of the sites that we have identified at the  
5 Naval Reactors Facility.

6 The third task, which will be discussed  
7 a little later, is the development of remedial  
8 action objectives. We also developed and evaluated  
9 various remedial action alternatives, and, finally,  
10 a selection of a Preferred Alternative.

11 The individual site assessments, like I  
12 said, were 18 potentially radiological areas. We  
13 went off and gathered up as much historical  
14 information as we could including past records,  
15 interviewing past employees, as much historical  
16 information on these sites as we could. Then we  
17 went off and took some surface, some subsurface  
18 soil samples and groundwater samples, and we used  
19 all that information as input into our human health  
20 risk assessment that we performed for each of the  
21 sites.

22 After doing the human health risk  
23 assessments, we came up with the nine sites of  
24 concern that are shown on the board on the far  
25 right. The cumulative assessment involved three

1 primary tasks. The first task was a cumulative  
2 assessment of all 71 of the sites identified at the  
3 Naval Reactors Facility. And the cumulative idea  
4 is to evaluate the possible additive effects of  
5 more than one site being close to each other.

6 The conclusion of our cumulative  
7 assessment was that we did not identify any  
8 additional sites of concern that we hadn't  
9 identified for our individual site assessment. We  
10 also performed an ecological risk assessment to  
11 evaluate the potential impact to environmental  
12 receptors.

13 Our ecological risk assessment concluded  
14 that the actions that we take for protection of  
15 human health are also going to be protective of the  
16 ecological receptors, and therefore, no additional  
17 action was required from environmental ecological  
18 perspective.

19 Finally, we did a hydrogeological study  
20 that assesses the potential impact to groundwater.  
21 The hydro study provided input into our risk  
22 assessment as far as the groundwater pathways were  
23 concerned.

24 Our human health risk assessment  
25 involved a couple different scenarios. We had a

1 residential scenario, an occupational scenario.  
2 The residential scenario included a 30-year future  
3 resident and 100-year future resident. The  
4 occupational scenario included a current worker and  
5 a 30-year future worker. You will notice we  
6 highlighted the 100-future year resident scenario  
7 because that was our scenario that we were  
8 primarily concerned about. The reason being is  
9 that there is an assumption made that the next  
10 100 years, there will be an institutional  
11 government, possibly in control of the site, and  
12 therefore, there would not be a resident within the  
13 next 100 years living out there. As far as the  
14 occupational scenario goes, we currently have  
15 controls and practices and various ways of doing  
16 work out there that prevent a worker from being  
17 exposed to contaminants at these sites.

18 The human health risk assessment came  
19 up with nine contaminants of concern. Eight of  
20 them are radiological and one inorganic, lead.  
21 Cesium-137, strontium-90 and lead were the primary  
22 contaminants of concern. The risk drivers were  
23 cesium-137 and strontium-90. Lead was found in one  
24 place to be above the EPA recommended screening  
25 level for lead clean up.

1                   And that leads us to a bar graph here  
2   that shows the sites and the risks that were posed  
3   by each of the sites. You will see here, this is  
4   the one in 10,000, I call it a threshold, that was  
5   discussed earlier. Seven of the nine sites are  
6   above that threshold. You will notice two other  
7   sites, the A1W/S1W radioactive line is below this  
8   threshold or range. It is included as a site of  
9   concern because there is some uncertainty  
10  associated with this particular line. It's an  
11  underground pipe. We have done some sampling  
12  around it. However, there is a possibility that  
13  there is some contamination there that we did not  
14  detect while sampling that may require some  
15  clean-up action.

16                  Another one is the S1W retention basin.  
17  These basins are concrete structures that held  
18  liquid at one time. There is a potential that we  
19  have some contamination under these basins if they  
20  had leaked in the past, which we think there is a  
21  possibility of that happening. Because of the  
22  expense that would have been required to sample one  
23  of these basins, we made a decision up front that  
24  we were going to go ahead and take care of the  
25  retention basins and do the clean up that is

1       necessary after we come up with our risk assessment  
2       results.

3               With that, I'm going to turn it over to  
4       Bruce Olenick, and he's going to continue on. He's  
5       the Westinghouse program manager Waste Area Group  
6       8, WAG 8.

7               MR. OLENICK: Thanks, Mark. Okay. A  
8       real quick summary. We've already learned a little  
9       bit about the Naval Reactors Facility and the type  
10      of discharges that we have had in the past. We've  
11      also discussed a little bit about the risk for  
12      those nine sites of concern that Mark pointed out  
13      on the block diagram over here.

14              Next, after we identified the sites of  
15      concern, what we need to do now is establish what  
16      next. What do we do? We need to clean up these  
17      individual sites.

18              The way we do that is by setting out  
19      what we call remedial action objectives. All that  
20      is, is just the goals that we set in order to clean  
21      up these individual sites. What do we do? What  
22      criteria do we use in order to make sure that we  
23      make the right decisions and perform the right  
24      actions?

25              The first goal that we set for cleaning



1 up these nine sites of concern is to prevent direct  
2 exposure and ingestion of soil and food crops  
3 containing radionuclides of concern in excess of  
4 that range that we previously discussed for the  
5 future 100-year resident.

6 AUDIENCE MEMBER: How did you decide,  
7 based on the list that was on the previous slide,  
8 for all contaminants? How did you pick those three  
9 contaminants as the contaminants of concern?

10 MR. OLENICK: These three right here?  
11 The risk for those three -- there is a nice table  
12 of the proposed plan. I don't know if you have a  
13 copy of that in front of you. The risk for those  
14 three were above what we would call the acceptable  
15 range, the levels that would be required for you to  
16 do action above the one in 10,000. I think that is  
17 Table 4, if I'm not mistaken.

18 AUDIENCE MEMBER: So for the same amount  
19 of a contaminant of each of those nine, those three  
20 would be the more dangerous?

21 MR. OLENICK: That is right. That is  
22 exactly right. Those would be the ones that would  
23 be deemed unacceptable that we would have to  
24 perform an action on to bring them down to a level  
25 that would be acceptable to that future resident

1       that were to live there. Did that answer your  
2       question?

3               AUDIENCE MEMBER: The same kind of  
4       question. It seems to me like plutonium would be  
5       hazardous.

6               MR. OLENICK: It is. It is very  
7       hazardous, especially for us.

8               AUDIENCE MEMBER: They are not as  
9       dangerous as the other three highlighted?

10              MR. OLENICK: Fortunately for us, the  
11       levels of plutonium at our facility were below  
12       those ranges. They weren't very large at all.

13              AUDIENCE MEMBER: You don't have to  
14       ingest very much.

15              MR. OLENICK: No, you don't. That is  
16       exactly right.

17              AUDIENCE MEMBER: I found Table 2. Can  
18       you go back to this one. And I have a couple of  
19       questions also. Is this a good time to do that?

20              MR. OLENICK: Sure.

21              AUDIENCE MEMBER: I'm not noticing  
22       anything here on the list of exposure that would  
23       indicate -- and this is in reference to plutonium,  
24       airborne. Are there no concerns?

25              MR. OLENICK: There isn't. The

1       contamination, again, if you remember the  
2       leaching beds here, the piping for that, all the  
3       contamination was issued underground about 10 feet  
4       below ground, so the vast majority of the  
5       contamination is located underground, under 10 feet  
6       of soil, so there is no airborne concern, at least  
7       at our facility.

8               AUDIENCE MEMBER:  None in the process of  
9       remediation?

10              MR. OLENICK:  We do look at airborne.  
11       The applicable regulations apply when we actually  
12       clean this up, and that is a consideration for the  
13       remedial alternative that we will get to here in  
14       just a minute and discuss.  Anything else at all?  
15       These questions will come up, but they will be,  
16       hopefully, answered for you as we move forward  
17       here.

18              Okay.  So once again, we create these  
19       goals, the types of goals that we want to go meet  
20       in order to clean up these individual sites.  
21       Another goal that we wanted to ensure that we meet  
22       was prevent exposures to soils that were  
23       contaminated to that screening level for lead  
24       cleanup at 400 PPM.

25              If you notice here, these are the levels

1       that we calculated, at least for radionuclides,  
2       that a hundred years into the future, if cleaned up  
3       above this level, would pose an unacceptable risk.  
4       If cleaned up below that level, they would be  
5       acceptable a hundred years in the future, say, to  
6       someone living at the facility. And then, again,  
7       once again, the screening level for lead, the  
8       recommended screening level published by the EPA,  
9       is 400 PPM that we would also like to meet as  
10      well.

11               Not only do we have remedial action  
12      objectives for human health, but we also created  
13      them for environmental protection. The first one  
14      being that whatever action that we did, was going  
15      to be protective of the environment by preventing  
16      erosion or intrusion by plant or animal species  
17      into those nine sites of concern. Also, one of key  
18      goals, is to prevent exposure to those contaminants  
19      of concern to any ecological receptor.

20               That brings us to the proposed response  
21      actions. We evaluated a whole sieve of different  
22      response actions and narrowed it down to these  
23      four. The four can be basically summarized as,  
24      number one, no action, don't do anything. We would  
25      not invoke additional controls or provide any

1 additional monitoring than what the facility  
2 currently does.

3 The second proposed action or the action  
4 evaluated was limited action. What that would  
5 invoke would be long-term monitoring using our  
6 groundwater monitoring wells around the facility  
7 and then instituting institutional controls. What  
8 that means is building fences, placing barriers to  
9 keep people out of these areas.

10 The third one, if you notice, is simply  
11 building on the second one, performing long-term  
12 monitoring, institutional controls, but also to  
13 consolidate the soil from six sites into the S1W  
14 leaching bed complex and build a cap over the top  
15 of it. And then the A1W leaching bed on the west  
16 side of the facility would also have a separate  
17 individual cap built on that as well.

18 The fourth alternative considered was a  
19 complete excavation and removal of all nine sites  
20 and the soil matter within them, for disposal off  
21 the NRF facility proper. Included with that one,  
22 obviously, there is no long-term monitoring  
23 necessary since all the contamination was moved off  
24 the facility.

25 AUDIENCE MEMBER: On that previous

1 slide, is that referring to table 4, on page 17, on  
2 No. 8 and the costs associated; is that correct?

3 MR. OLENICK: That is correct. We will  
4 get up to a slide that will summarize that,  
5 perhaps, a little better.

6 Okay. Those four criteria, those four  
7 proposed actions, evaluated actions, must be  
8 evaluated against something, and we've talked about  
9 that already. Keith Rose did a good job of  
10 explaining what those evaluation criteria are.

11 Protection of human health and the  
12 environment and complying with laws are two key  
13 compliance or evaluation criteria that we use to  
14 evaluate those against one another.

15 Long-term, short-term effectiveness:  
16 How well or what type of permanence do we have with  
17 the proposed action and whether or not it's  
18 protective of workers actually performing the  
19 action while they are doing that.

20 Treatment is also another evaluation  
21 criteria that we considered, although none of those  
22 four actions actually use treatment in the  
23 alternative, so that one we did not evaluate or use  
24 as an evaluation criteria.

25 Ease of implementation and cost are key,

1 particularly, since we spend taxpayers' dollars in  
2 order to go do this, we want to be as cost  
3 effective as we can.

4 Finally, the last two, state acceptance  
5 and public acceptance. State acceptance, being  
6 part of the meeting here and being represented  
7 here, speaking what they feel is necessary for us  
8 to accomplish our actions as well as seeking public  
9 comment, seeking your opinions on what we are  
10 planning.

11 AUDIENCE MEMBER: Are those criteria,  
12 are they priority, one through nine?

13 MR. OLENICK: Yes, in a sense they are.  
14 The first two are essentially baseline criteria  
15 that we use to screen out the alternatives  
16 themselves and then they kind of fall into line.

17 Actually, the center portion kind of  
18 works in a set. These two you look at first, this  
19 group, then the last two there.

20 MR. ROSE: The first two are usually  
21 called threshold criteria, and all of the  
22 alternatives are screened against those. If the  
23 alternative method fulfills those two, then it's  
24 carried further in the evaluation. But if it  
25 passes the threshold, then it goes on to the other

1 criteria.

2 MR. OLENICK: Right. There is really  
3 not a number associated. If you're looking for  
4 hard values for each one of those, though, they are  
5 all relative to one another, and they must be  
6 played off one another to see which is the best  
7 alternative.

8 Here is a chart that might answer your  
9 question and, hopefully, put it in a little bit of  
10 a visual format for you to see.

11 If you notice the first alternative,  
12 doing no action wasn't very protective of the  
13 environment or human health and so that was  
14 automatically screened out as a considered  
15 alternative.

16 The next three, 2, 3 and 4. Notice we  
17 kind of coin terms so it can come to mind  
18 relatively quickly, such that Alternative 2 is kind  
19 of a fence and monitor; Alternative 3 is  
20 consolidate and monitor; and number four is  
21 complete removal from the facility of the  
22 contaminated soils.

23 The evaluation of these -- note that  
24 Alternative 3 and 4 for the protection of human  
25 health, in compliance with all applicable laws, did



1 the best job of addressing that criteria. For  
2 long-term effectiveness, obviously, removing all  
3 the contamination from the facility is the best  
4 solution. After removing it completely forever,  
5 then the other two fall in line. Actually, doing  
6 nothing, it's still there, and it will be there for  
7 long periods of time with just fencing and  
8 monitoring in place.

9 Short-term effectiveness, the ability  
10 for workers to go in there and be protected while  
11 they perform the action. Obviously, not doing much  
12 of anything other than fencing is the least  
13 detrimental to those workers whereas handling the  
14 soil and excavating at all nine sites is the worst  
15 as far as that evaluation criteria goes.

16 Implementability, some of the same  
17 reasons. It's easier to do very little and most  
18 complex to do a lot. Then, finally, the cost  
19 involved, and that is kind of self-explanatory.

20 AUDIENCE MEMBER: So these associated  
21 problem sites in a leave-alone mode, would that be  
22 compatible with human use and work of the area? In  
23 other words, people working in the area in the  
24 future, that idea wouldn't be coming in contact.  
25 It can be fenced off, and it wouldn't impede any of

1 the work effort. They won't have to be walking  
2 around to do something.

3 MR. OLENICK: Certainly, that could add  
4 to that. You're saying impeding just normal work  
5 efforts at the facility?

6 AUDIENCE MEMBER: Yeah. I mean, by just  
7 leaving it alone and fencing it off, that would  
8 impede working efforts. You have to redesign to  
9 some extent to be able to accommodate that fence?

10 MR. OLENICK: Not typically, no. The  
11 fencing that can be done can preclude workers from  
12 coming into contact with those areas without  
13 greatly impacting the area in general. Is that  
14 what you're saying?

15 AUDIENCE MEMBER: Or impacting the work  
16 progress on the facility because of the fact that  
17 there are barriers.

18 MR. OLENICK: There would be minor  
19 impact, but it wouldn't be significant where we  
20 would have to pick up the building or move it, I  
21 guess, is what you're insinuating.

22 MS. ENGLISH: It could potentially  
23 restrict activity to certain parts of the  
24 facility.

25 MR. OLENICK: Yes, it would prevent,

1 obviously, that type.

2 AUDIENCE MEMBER: Where it also kind of  
3 comes from unknown factors, too, if there is any  
4 future investigating of discoveries that could be  
5 made, why, then, the whole picture could change.  
6 In that respect, if the facility had to be changed  
7 to accommodate that research and discovery.

8 MR. OLENICK: Yeah, I think the impacts  
9 would be small. I think in general they would be  
10 small. Most of these areas are relatively small in  
11 size. In fact, quite a few of them occur outside  
12 this facility fence.

13 AUDIENCE MEMBER: I have a question. On  
14 Alternative No. 2, the fencing and monitoring, do  
15 you have an estimate of the period of time it would  
16 take for natural decomposition of these half-lives  
17 and so on?

18 MR. OLENICK: That would work for the  
19 two radioactive components there, the strontium and  
20 cesium, both relatively low half-life, thirty years  
21 or so. That is what you play off of. Remember  
22 those risk levels and cleanup levels? We're  
23 projecting that if someone living there a hundred  
24 years in the future, if we get our levels down  
25 below those levels, that risk would be acceptable,

1 anything above that would be unacceptable.

2 Lead works a little differently,  
3 though. Lead is there forever, so you have to  
4 preclude that activity from human beings getting in  
5 contact with that, hence, the cap and that nature.  
6 Good point.

7 AUDIENCE MEMBER: So about 30 years?

8 MR. OLENICK: That is one-half life,  
9 correct. Our scenario that we looked at, we assume  
10 institutional controls up to a hundred years, the  
11 government will be there for a hundred years.

12 AUDIENCE MEMBER: Sort of a pea soup  
13 grade, it's just a mix of all --

14 MR. OLENICK: The contamination, you  
15 mean? Yeah, it's within the soil, bound up  
16 underneath the leaching beds or the individual  
17 sites.

18 MS. ENGLISH: Maybe you can explain  
19 half-life a little more fully, what exactly that  
20 means. It doesn't mean that in 30 years --

21 MR. OLENICK: That's right. Radioactive  
22 half-life works that in 30 years, say, if you had a  
23 half-life of 30 years, half that material would be  
24 there. In another 30 years, half again, so you'd  
25 be down to a quarter.

1                   AUDIENCE MEMBER: I'm wondering what  
2                   period of time would it get down to acceptable.

3                   MR. OLENICK: Well, again, remember  
4                   those criteria that we set, if we cleaned them up  
5                   to 16.7, cesium, in a hundred years it would be  
6                   below that risk threshold level and be acceptable.  
7                   It never goes away completely, but gets down  
8                   infinitesimally.

9                   AUDIENCE MEMBER: So that is the  
10                  one that has the longest period of natural  
11                  decomposition?

12                  MR. OLENICK: Of the contaminants  
13                  concerned, yeah, the cesium. I forget what the  
14                  actual half-life is.

15                  AUDIENCE MEMBER: It's not the longest  
16                  half-life. Cesium is the highest risk driver.  
17                  There are some others that have a longer half-life,  
18                  but the quantity and the radioactivity of those  
19                  others are so small that cesium and strontium are  
20                  the risk drivers.

21                  MR. OLENICK: I guess I was comparing  
22                  strontium and cesium together. They are about  
23                  equal.

24                  Anything else?

25                  MR. ROSE: As a point of clarification,

1       are you saying that the levels of strontium and  
2       cesium that interact would be below acceptable or  
3       within the acceptable risk range within a hundred  
4       years?

5               MR. OLENICK:   For the future 100 year  
6       residential scenario, based on the location in the  
7       soil and the scenario that we painted for that  
8       hundred-year residential person living there.

9               MR. ROSE:   So are the highest levels of  
10      those constituents in the subsurface so there is  
11      not a pathway of exposure?

12              MR. OLENICK:   That is correct.

13              MR. ROSE:   The levels at the surface  
14      would come to a point where they are no longer of  
15      concern after a hundred years?

16              MR. OLENICK:   That is correct.

17              AUDIENCE MEMBER:   What would be an  
18      estimated time for completion for Alternative 4?  
19      It's probably in here somewhere.

20              MR. OLENICK:   This one right here, the  
21      complete excavation and removal. Our plan goes out  
22      depending on what alternative is selected.  
23      Obviously, some will take longer than others. With  
24      complete excavation -- and correct me if I'm wrong,  
25      Rick and Margi and Keith -- would be somewhere

1       around 2002, 2003, for complete removal of that  
2       from the facility.

3               AUDIENCE MEMBER:   Are you saying three  
4       years?

5               MR. OLENICK:   Three to four.

6               MS. ENGLISH:   The Record of Decision  
7       will establish the commitment to do this cleanup  
8       and then very shortly after the Record of Decision,  
9       we will put together something called a Scope of  
10      Work, which will outline deadlines for getting  
11      various pieces of remediation done.

12              We have not put that document together  
13      yet, so it's not saying exactly what date the  
14      remediation will be completed.   Right now we don't  
15      really have that date.   We will be developing that  
16      schedule over the next couple months.

17              MR. OLENICK:   She brings up a good point  
18      that it is really difficult to go off and pick a  
19      date until you decide the alternative, get a feel  
20      for it.

21              AUDIENCE MEMBER:   Speaking in a  
22      construction way, what period of time, given some  
23      parameters that you're talking about, would it take  
24      for the construction period to happen to achieve  
25      that goal?

1 MR. OLENICK: The process after the  
2 Record of Decision this summer is called the  
3 Remedial Design, Remedial Action Phase where we  
4 create another work document, a plan to go off and  
5 implement this. That takes, roughly, about a year  
6 or so.

7 MR. OLENICK: Given that evaluation  
8 criteria and looking at those three alternatives  
9 that we have evaluated, the preferred action  
10 recommended by the agencies is the Remedial Action  
11 Alternative No. 3. Essentially, that is  
12 consolidate and monitor. Looking at that a little  
13 more specifically, it's taking six sites from  
14 within the facility here and combining the soil  
15 from those sites into the depression known as the  
16 S1W leaching bed. That leaching bed holds -- we  
17 calculated about -- let's see, about 90,000 cubic  
18 feet of soil. The maximum volume of those six  
19 sites, soil-wise, that we've calculated is about  
20 60,000 cubic feet of soil.

21 In other words, we fill that area up  
22 about two-thirds. We still have another third of  
23 that leaching bed complex open for any contingency  
24 to happen.

25 So, again, consolidating those six sites



1       into that S1W leaching bed, note also the S1W  
2       leaching pit is right near by here. Both those  
3       sites, an engineered cap will be built over the top  
4       of that to protect them from -- again, remember  
5       meeting our remedial action goals, prevent  
6       intrusion by plant and animal species.

7               Then the A1W leaching bed on the west  
8       side of the facility would have its own cap built  
9       over the top of that for this alternative. And  
10      then, also, institutional controls and long-term  
11      monitoring in place to ensure that that remedy  
12      is protective of the human health and the  
13      environment.

14             That is a hypothetical example of one of  
15      the caps that we would consider during that  
16      remedial design phase.

17             Okay. In summary, we've already  
18      belabored the point of these nine sites of concern  
19      that are up on the reader board here. Those nine  
20      sites represent an unacceptable human risk that  
21      require some type of remedial action. Cumulative  
22      risk assessment did not identify any additional  
23      risk that we didn't see in the individual sites.

24             We've identified four remedial action  
25      alternatives for clean up. We've evaluated those

1 four remedial action alternatives according to the  
2 criteria that we listed earlier.

3 The selection of the third alternative  
4 as a proposed action, seeking your comment, is the  
5 excavation of six sites and consolidating that into  
6 a one-site -- or actually, a two-site area and  
7 building a cap over the top of it. Also building a  
8 second cap over another leaching bed, and  
9 instituting long-term monitoring.

10 In addition to that, there are  
11 52 identified sites that require no additional  
12 action. Eleven of those are no further action.  
13 They have some source present but would be reviewed  
14 in that five-year review process we talked about a  
15 little earlier, and the remaining 41 sites be  
16 recommended as no action whatsoever.

17 This is the point where, again, I think  
18 several of us have already noted that we must  
19 understand the public's concerns. We want public  
20 feedback on this, and we want to answer your  
21 questions. We encourage you to write written or  
22 oral comments based on tonight's meeting or submit  
23 those in the back of the proposed plan that you're  
24 currently reading.

25 Our public comment period ends

1 February 10th, coming up shortly. The Record of  
2 Decision compiles all your concerns. These are  
3 placed in a Responsiveness Summary into that Record  
4 of Decision in the summer of '98.

5 And, finally, the remedial action that  
6 Keith mentioned a little bit earlier, that detailed  
7 design will begin in the fall of 1998.

8 So with that, we will bring up  
9 Andy Richardson, the representative of the  
10 facility, again, to coordinate any other  
11 questions. You guys have good questions, by the  
12 way.

13 MR. RICHARDSON: Any other questions?

14 AUDIENCE MEMBER: I take it, then, there  
15 has been some core samples taken around these  
16 facilities; right?

17 MR. RICHARDSON: Yes.

18 AUDIENCE MEMBER: I think it's been  
19 mentioned, 10 feet; is that the bottom line?

20 MR. RICHARDSON: The basalt layer, if  
21 you remember much about the -- it had some top soil  
22 that varies in depth, and you then get down to,  
23 essentially, lava rock, hard, solid rock.

24 AUDIENCE MEMBER: I'm wondering about  
25 the contaminated readings.

1                   MR. RICHARDSON: I think I understand.  
2     Let me make sure. When we did the core sampling,  
3     we would routinely sample all the way down to that  
4     basalt layer, and we would take samples depending  
5     on what we were looking for, sometimes every two  
6     feet, sometimes every four feet, depending on the  
7     contaminants that we were looking for.

8                   So we would normally do the sampling.  
9     It gets a profile of as you go down through the  
10    soil column what your contamination will look  
11    like. Is that the sort of question that you're  
12    getting to?

13                  AUDIENCE MEMBER: You're heading in the  
14    right direction.

15                  MR. RICHARDSON: I'm going down.  
16    Essentially, what we found -- and, again, where we  
17    said that in most of the cases with these discharge  
18    points, the discharge piping was already buried.  
19    As you would expect, up near the surface you hardly  
20    had any contamination. As you got down closer and  
21    closer to the level where that discharge pipe was  
22    at, you would find the majority of your  
23    contamination, and then as you got closer down to  
24    the basalt level, again, you found, in most cases  
25    hardly any, which tells us that that contamination,

1       in fact, has not migrated down very far.

2               AUDIENCE MEMBER: It probably varies  
3       some places. Can you calculate an educated guess  
4       about eight foot, ten foot in depth?

5               MR. RICHARDSON: Most of the discharge  
6       points were actually down at about the ten-foot  
7       level, and we found most of the contamination  
8       starting about that level and going down another  
9       three feet or so and then fairly rapidly.

10              AUDIENCE MEMBER: Does this include pits  
11       as well as the pipe lines area?

12              MR. RICHARDSON: Yes.

13              AUDIENCE MEMBER: And that is pretty  
14       much uniform on all the findings for those tests?

15              MR. RICHARDSON: For the most part.  
16       Every site had its own unique characteristics.  
17       Sometimes you find what you might call a particular  
18       hot spot. We made some rather conservative  
19       assumptions when we did the risk assessment. If we  
20       found high levels to be concerned with, we made the  
21       assumption, okay, that entire soil column is  
22       contaminated to that level even though the sampling  
23       shows that isn't necessarily the case. But it gave  
24       us a very good conservative as far as how far do we  
25       think we need to clean this up.

1                   AUDIENCE MEMBER: I don't know if this  
2 is stretching it a bit here. I'm kind of drawing  
3 from Hanford. I'm familiar with that somewhat and  
4 what the big flow problem that they have underneath  
5 those and the contamination there. How does this  
6 compare to Hanford?

7                   MR. RICHARDSON: The question was: How  
8 does this compare with the spread underneath?

9                   AUDIENCE MEMBER: The large areas that  
10 they saw at Hanford.

11                  MR. RICHARDSON: The large areas that  
12 they saw at Hanford. Most all of our contamination  
13 from our sampling is pretty much restricted to the  
14 areas directly underneath these leaching beds.

15                  AUDIENCE MEMBER: I'm talking about the  
16 intensity. In other words, the intensity of the  
17 radiological emissions, equal volume compared to  
18 Hanford.

19                  MR. RICHARDSON: Hopefully, this will  
20 address that. Going back and looking at the  
21 historical records, how much do we think that we  
22 discharged at NRF in these liquids, the total  
23 discharge of radioactivity from the liquids, we  
24 estimate to be about 300 curies. About half of  
25 that has already decayed away. So we think,

1       between all these sites -- and these are some  
2       relatively ballpark numbers, we probably had down  
3       here in the soils, primarily in these specific  
4       areas, about 150 curies that is in the soil that  
5       we're going to have. Does that --

6               AUDIENCE MEMBER: I was kind of worrying  
7       about the intensity of likely this problem compared  
8       to Hanford.

9               MR. OLENICK: If I could jump in, are  
10      you talking about the tank farms at Hanford?

11              AUDIENCE MEMBER: I was kind of  
12      thinking, like, if we were to go over to Hanford  
13      and go down, what is the average depth problem, is  
14      what, 200 feet, and they go in, say, at 50 feet and  
15      take out one square foot of soil and then analyze  
16      that. If we were to go here and go down five feet  
17      and take out one square foot and analyze that, how  
18      would we be looking at that, as far as intensity in  
19      each square foot of soil?

20              MR. RICHARDSON: I'm not really in the  
21      position to say because I don't know that much  
22      about Hanford. And anything I would be telling you  
23      would be speculation. I could tell you rumors I've  
24      heard, but I really don't know the answer to that.  
25      I'm not that familiar with Hanford.

1                   Keith, do you have any thoughts on  
2                   that?

3                   MR. ROSE: No, I can't say anything  
4                   about Hanford. But maybe, Andy, you can tell the  
5                   audience the range of activities found in the soil  
6                   to give us a feel for what kind of levels of  
7                   activity and maybe compare that to the levels, the  
8                   target levels that are trying to be achieved. In  
9                   other words, we have clean-up goals for strontium  
10                  and cesium. Maybe if you give us a range of  
11                  concentrations at certain depths.

12                  MS. ENGLISH: I think you could look at  
13                  page 14, you can get a feel for it. We can walk  
14                  through that.

15                  MR. HUTCHISON: We have a table and  
16                  proposed plan that outlines the maximum  
17                  contamination that we found at the Naval Reactors  
18                  Facility. And it compares to what we are calling  
19                  our recommended clean-up levels. Like with the  
20                  cesium, the maximum we found anywhere out there was  
21                  7,300, approximately, picocuries per gram. I'm not  
22                  going to describe picocuries per gram, but that is  
23                  an activity energy level in a gram of soil.

24                  The clean-up level for cesium is 16.7.  
25                  Now, again, I don't know a lot about Hanford, but I



1 have heard there is a lot higher levels out there  
2 than what we have. We're talking 150 curies that  
3 are in the soil, and compared to some of the other  
4 DOE facilities, there is quite a bit more curies  
5 than that in the soils.

6 So as far as trying to gauge how much we  
7 got there compared to someone else, it's kind of  
8 hard to do. Again, we looked at our strontium  
9 concentrations, and the maximum that we found was,  
10 in this A1W leaching bed, right next to the pipe at  
11 750 picocuries per gram. Our suggested clean-up  
12 level is about 45.

13 Again, our proposed action isn't to  
14 clean up this area or these areas, it's to clean up  
15 these other areas. This area here, the leaching  
16 beds and leaching pit probably received at least 99  
17 percent of our total discharges. The areas that  
18 we're looking at, as far as proposing some kind of  
19 action, are these other areas which did not  
20 typically receive near the quantity of fluid that  
21 these other areas did.

22 MR. OLENICK: I was going to add, my  
23 familiarity with Hanford, I have been there several  
24 times to the laboratory to talk and visit a little  
25 bit, but relative perspective of some of their tank

1 farm areas, they are talking about hundreds of  
2 thousands of curies that have been discharged into  
3 the soil in some specific areas. Certainly, it  
4 varies by site, but quite a significant difference  
5 between this facility and Hanford.

6 AUDIENCE MEMBER: Thank you. I don't  
7 know if I'm getting off on this, but we're  
8 correcting a problem here, so I would like to ask  
9 as a follow-up is, how are we going to address this  
10 situation in the future, as far as handling these  
11 the materials before the leaching and so forth? Am  
12 I getting too far off here?

13 MR. RICHARDSON: No, if I understand, is  
14 it how are we going to keep from having to go do  
15 this again?

16 AUDIENCE MEMBER: Right.

17 MR. RICHARDSON: As I said earlier, we  
18 made the decision -- started working on it in the  
19 late '60s, and by 1979 --

20 AUDIENCE MEMBER: Is this dealing with  
21 job analysis now?

22 MR. RICHARDSON: No, this is just a  
23 matter of working real hard to make sure that you  
24 keep the water exactly where you want the water,  
25 which is inside the pipes and inside tanks and

1       inside process equipment and don't let it out into  
2       the rest of the environment. And we worked real  
3       hard at that. I won't claim that we are perfect at  
4       it, but I will say we are pretty darn good at it.

5                You do rehearse about your work, and you  
6       make sure to the best of your ability that you  
7       don't let the stuff spill out, like changing the  
8       oil in your car.

9                AUDIENCE MEMBER: So, then, when you say  
10      it can go into some kind of container that  
11      evaporates and collect it and send it off to a  
12      disposition site?

13               MR. RICHARDSON: We, essentially,  
14      recycle it, reuse it.

15               AUDIENCE MEMBER: What about the  
16      evaporated materials that are left over?

17               MR. RICHARDSON: Eventually, what you  
18      can do as you lose some, say, due to evaporation,  
19      we do things, also running the water through  
20      filters. We will run it through an ion exchanger,  
21      similar to a water softener, that can take out some  
22      of those contaminants. Then you can, essentially,  
23      concentrate the radionuclides enough to go through  
24      that ion exchange or processor, and you can  
25      solidify that and put it in a condition so it can't

1       leach out and take it to an approved disposal  
2       facility. Any other questions?

3               AUDIENCE MEMBER: I have a question  
4       about the evacuation of the soil. What sort of  
5       protocol and procedure, how do you do that?

6               MR. RICHARDSON: The question, if you  
7       didn't hear it is, how do you go about if you want  
8       to excavate all this soil, how do you go about  
9       doing that? That is, particularly in some of these  
10      leaching beds, if you went off to do that, that is  
11      a -- it's not necessarily an easy process. It's  
12      doable, but there are certainly a lot of  
13      engineering hurdles that one would have to get over  
14      to do that safely.

15              Again, it primarily becomes a question  
16      of worker safety. If you have to have people down  
17      there -- eventually -- essentially, you have to dig  
18      it up. How you go about digging it up is where the  
19      engineering expertise has to get involved. You  
20      build tents. You have extensive metal filter  
21      ventilation systems. You have to have wetting  
22      systems to make sure that things don't go  
23      airborne.

24              Those are the sorts of things that get  
25      addressed when you're doing your remedial design

1 effort, for example, or you sit down and you try to  
2 put forth some really good, well-thought out  
3 engineered solutions to those problems. But it's  
4 not necessarily easy.

5 MS. ENGLISH: I think, Andy, you can  
6 emphasize, too, that is what is factored into the  
7 evaluation criteria under implementability. You  
8 had asked earlier how does worker -- risk to worker  
9 during digging up, how does that factor in. It's  
10 really factored in the decision process, into that  
11 criteria implementability because, like Andy said,  
12 it's doable but some alternatives, it's more  
13 difficult than others.

14 MR. OLENICK: It's the increased cost.

15 AUDIENCE MEMBER: In Alternative 3,  
16 which is one that is being carefully considered,  
17 there is some soil evacuations. Is there the  
18 technology existing? Is there a plan for how that  
19 would be done?

20 MR. RICHARDSON: Yes. Again, as Mark  
21 had said earlier, most of that excavation will, in  
22 fact, be in these areas where we expect  
23 comparatively very low levels of contamination.  
24 From the sampling, 99 percent of the contamination  
25 is here in this S1W leaching bed. And we don't

1 want to go off and disturb that soil. We will take  
2 these relatively low contaminated soils,  
3 consolidate them here so we don't have -- so we can  
4 focus what we want to watch and what we want to  
5 monitor, then build the caps over these. So it  
6 minimizes the amount and the type of soil that we  
7 do have to disturb for that remedy.

8 Any other questions? Okay. I guess at  
9 this point, if anybody has any specific comments on  
10 this proposed plan that they would like to get on  
11 the record at this point, I guess is the time to do  
12 that, if I heard you right.

13 MR. SIMPSON: Thanks, Andy. Your  
14 comments will be responded to, I think it's been  
15 mentioned, in the Responsiveness Summary section of  
16 the Record of Decision, so if you do comment,  
17 clearly speak your name and also give your mailing  
18 address so we can mail you the Record of Decision  
19 once it's signed. Who would like to go first?

20 No comments.

21 MR. RICHARDSON: Obviously, this isn't  
22 the only time.

23 MR. SIMPSON: Each proposed plan has a  
24 comment form on the back page and you can write  
25 your comments down and fold it and put it in the

1 mail.

2 AUDIENCE MEMBER: You're doing this  
3 tomorrow night, I believe, in Idaho Falls.

4 MR. SIMPSON: Moscow. Thursday is Idaho  
5 Falls.

6 AUDIENCE MEMBER: We will make our  
7 comments that night.

8 MR. SIMPSON: At this time I would like  
9 to take about a five-minute break, and we will  
10 come back, and we will talk about Argonne's  
11 comprehensive investigation.

12 (Break).

13 MR. SIMPSON: Do you folks want to take  
14 your seats, please. At this point I would like to  
15 introduce the agency representatives for the  
16 Argonne National Laboratory-West Comprehensive  
17 Investigation. We have Daryl Koch from the  
18 Division of Environmental Quality and Keith Rose,  
19 once again, from the Environmental Protection  
20 Agency, and they are both going to say a few things  
21 on the Argonne National Laboratory-West Proposed  
22 Plan.

23 MR. KOCH: I took over this project  
24 just a few months ago from my predecessor  
25 Sean Rosenberg from the state. He did an excellent

1     job in keeping track of documents and everything.  
2     So I had a relatively easily task. I got the draft  
3     RI/FS and went from there, so I don't see any  
4     problems from the state's perspective.

5             This schedule -- I think we're on  
6     schedule almost a year ahead. That is unusual at  
7     the facility. So I would like to applaud my  
8     counterparts for keeping on schedule. We're only a  
9     few weeks behind right now, not only the proposed  
10    plan or Record of Decision but this feasibility  
11    study and all that kind of stuff, but well ahead of  
12    schedule, so I want to applaud my staff.

13            I want you, if you can, as they go  
14    through their presentation, they will be talking  
15    about various sites of contamination. I want you  
16    to visualize what you see here. You see water.  
17    You see water. Okay. Not there naturally, pumped  
18    up from groundwater used in the facility processes,  
19    some of those processes in the past have  
20    contaminated certain sites at the ANL-West.

21            By the addition of water, ANL-West has  
22    created a mini ecosystem. If you take a tour of  
23    the site you will walk down these contaminated  
24    ditches and realize it's a wet land. There is  
25    cattails, there is reeds, there is birds. There is



1 all sorts of microbule matter in the ditches.  
2 There is all sorts of animal and plant life.

3 So I want you to visualize that when we  
4 talk about the risks that have occurred to these  
5 ditches and ponds. You will hear about  
6 radiological contamination, those heavy metal  
7 contaminations from various processes. That was  
8 all in the past. The thing now is to go through  
9 risk assessment process, which I will explain to  
10 you and what the levels of contamination are and  
11 what we want to do about that.

12 I want you to visualize this water has  
13 been what the site has needed. Water has created  
14 this wetland, which you will see in the preferred  
15 remedy, is what we're trying to protect. It's kind  
16 of an unusual system here. The preferred remedy,  
17 we don't really want to mess with the ecosystem  
18 even though we created it artificially by pumping  
19 up groundwater.

20 In the future, when the facility  
21 essentially goes away in about 35 years, that  
22 ecosystem will likely go away as well because there  
23 won't be any water pumped up into the surface  
24 unless they want to keep the pumps running. But in  
25 the meantime, you will see the preferred remedy, we

1 call it a holistic approach to let Mother Nature,  
2 essentially, take care of the contaminants that  
3 would be a concern to the plants and animals that  
4 are already living there. That is why they are  
5 going to take a clean-up action.

6 It's sort of a circuitous procutuous  
7 route that we are trying to do here. We kind of  
8 messed it up a little, yet using plant species, we  
9 hope to clean it up a little and not go into these  
10 ditches and ponds right now and, essentially, haul  
11 it away to some other place, more or less let  
12 Mother Nature take over. So we will see how you  
13 like that proposed remedy.

14 MR. ROSE: The Environmental Protection  
15 Agency has also reviewed the Remedial  
16 Investigation, the Feasibility Study and the  
17 Proposed Plan for the Argonne Lab-West. We have  
18 reviewed and commented on documents and we concur  
19 with these documents.

20 Once again, we're going to use the nine  
21 evaluation criteria to determine which of the  
22 alternatives is the best alternatives for this  
23 facility with input from the public, the community  
24 and from the state. We work with the state to  
25 determine what the best alternative is in the

1       Record of Decision coming up later on this year.

2               The Preferred Alternative for Argonne,  
3       which you will hear about in the up-coming  
4       presentation, involves an innovative treatment  
5       technology, which we find very interesting, and we  
6       believe has a lot of potential. It's called phyto  
7       remediation in which plants are used to uptake the  
8       contaminants of concern, in this case radionuclides  
9       including strontium and cesium, and once taken up  
10      into the plants, the plant is harvested and taken  
11      off site for consideration, then the ashes then  
12      disposed of. It essentially is the ultimate volume  
13      reduction technology. So we find it very  
14      interesting. We believe it has great potential.

15              If anyone has any questions of me, you  
16      can either ask them now or later after the  
17      presentation. Thank you.

18              MR. SIMPSON: Thanks, Keith. At this  
19      time I would like to introduce Greg Bass. He is  
20      the Waste Area Group 9 manager for Argonne National  
21      Laboratory West representing DOE-Chicago. Greg.

22              AUDIENCE MEMBER: Can I ask a question?  
23      How do we come about the name "Argonne"?

24              MR. BASS: There is neighborhood on  
25      outskirts of Chicago, Illinois called Argonne. And

1       it's just a -- well, it's a little town. It was  
2       named after the Argonne Forest in France. And the  
3       first Argonne National Lab was built there near  
4       that town, Argonne, Illinois. It became known as  
5       Argonne National Laboratory, and they built Argonne  
6       National Laboratory-West in Idaho, it's sort of a  
7       test station for research being done back in  
8       Illinois.

9                 Briefly, as advertised, I'm Greg Bass.  
10       I work for the Department of Energy, Chicago  
11       operations office. My office is at Argonne  
12       National Laboratory-West, which is located on the  
13       INEEL, which is in southeastern Idaho. We're in  
14       the southeastern corner of the INEEL here, and it's  
15       about 30 miles to Idaho Falls from Argonne National  
16       Laboratory-West.

17                This looks like an UFO convention,  
18       however, this is a national laboratory. This is  
19       the Transient Reactor Test Facility. This is a  
20       small research reactor of which we have five. This  
21       is Zero Power Physics Reactor. Inside this mound  
22       is the Advanced Fast Source Reactor, another small  
23       research reactor. This is the Experimental Breeder  
24       Reactor 2. A reactor that we operated until 1994.  
25       The only reactor that still has fuel in it and is

1 still operating is our neutron radiography reactor,  
2 which is in the basement of this rectangular  
3 building.

4 Over the years, Argonne has had several  
5 missions with national and international sponsors.  
6 And since 1958, we've done nuclear reactor fuel  
7 research. Mainly developing a reactor that can  
8 recycle its own spent nuclear fuel within the same  
9 facility. Also we developed a reactor that can  
10 shut itself down, should it lose all of its coolant  
11 capabilities.

12 Our modern missions, starting with 1990  
13 have been characterizing radioactive waste that is  
14 destined for the WIPP Facility down in Carlsbad.  
15 We can't ship the thousands of drums of transuranic  
16 waste stored at the INEEL to WIPP unless it's  
17 characterized first to some extent. I mean, we do  
18 that at Argonne and are continuing to do that.

19 Our core mission these days is spent  
20 fuel stabilization research and development. We  
21 take spent fuel that has a constituent such as  
22 sodium that render it unsuitable for geologic  
23 disposal in a national repository, and we turn it  
24 into waste forms that are thought to be acceptable  
25 for geologic disposal. So that is a very important

1 mission. And we are applying a lot of our fuel  
2 cycle technology to making this spent fuel stable  
3 in the environment.

4 I'm going to go over, briefly, what we  
5 believe the problem is and where some of this  
6 contamination that got in our ditches and ponds  
7 came from. Briefly, throughout our mission in  
8 the '60s, we had an analytical laboratory right  
9 here which did radiochemistry, dissolving spent  
10 fuel samples. And the radioactive liquids from  
11 that analytical chemistry were disposed of in a  
12 combined sanitary industrial radioactive nuclear  
13 waste piping system which ran along here and then  
14 discharged to a leach pit, which is essentially a  
15 rock-bottomed septic tank about 40 by 15 by 15 feet  
16 deep. That was used in the '60s to dispose of all  
17 our liquid waste, be it sewage or industrial waste  
18 or radioactive waste.

19 This leach pit is no more. We cleaned  
20 it and the pipe leading to it up in 1993. By that,  
21 I mean, that we broke apart the concrete lid and  
22 the walls to the leach pit. We cleaned sludge out  
23 of the bottom and we backfilled the pit with clean  
24 fill. We also took out several hundred linear feet  
25 of pipe that fed the leach pit.

1                   At sometime during its operation, the  
2       leach pit inadvertently discharged some radioactive  
3       liquid into this interceptor canal. This  
4       interceptor canal was built to channel storm water  
5       away from the Argonne-West site and into this  
6       low spot, which is our industrial waste pond. The  
7       inadvertent discharge of radioactive liquid  
8       contaminated the shallow sediment in this  
9       interceptor canal and also contaminated sediments  
10      that are in the bottom of our industrial waste pond  
11      with cesium-137. These three locations --

12                   AUDIENCE MEMBER: When was that? What  
13      was the date of the inadvertent?

14                   MR. BASS: We believe it was in 1972  
15      that happened. As a response action back in 1976,  
16      they did excavate the contaminated soil to the  
17      standards at the time, that time being 1976. But  
18      we're finding out now that with our risk assessment  
19      process, that definition of clean is no longer  
20      clean enough. And we're going to have to take some  
21      action with both the interceptor canal and the  
22      mound of soil and plant matter that was excavated  
23      from the canal.

24                   These three sites: industrial waste  
25      pond, the mound and the interceptor canal are the

1     only sites at Argonne-West that pose an  
2     unacceptable risk to human health. That is  
3     important to remember. All these other sites, such  
4     as these ditches, show unacceptable risk to  
5     ecological receptors, those being plants and  
6     animals that could burrow or grow in the vicinity  
7     of these ditches.

8             A little bit about those ditches. The  
9     ditches are contaminated with heavy metal such as  
10    arsenic, chrome, mercury, selenium, et cetera, and  
11    in the case of industrial waste lift station  
12    discharge ditch, our photo lab routinely in  
13    the '60s discharged liquids that were contaminated  
14    with these heavy metals to that ditch. These other  
15    ditches, the main cooling tower blow-down ditch  
16    were contaminated with metals that were used to  
17    control algae growth and scaling in industrial  
18    waters that we used in our steam plant.

19            Once again, the heavy metal  
20    contamination, as well as the extensive cesium  
21    contamination, is very shallow. We found it to be  
22    a problem from one to three feet down. So unlike  
23    NRF, our contaminants are very shallow and easy to  
24    get at. The sewage lagoons currently do not pose a  
25    threat to ecological receptors for the reason that



1 the sediments on the bottom are covered by water  
2 and no burrowing animals can get to the  
3 contaminants at this time. Should we ever abandon  
4 the sewage lagoons and they dry up, it would then  
5 be a problem for the animals and some action would  
6 need to be taken.

7 AUDIENCE MEMBER: Do you know when the  
8 sewage lagoons were established?

9 MR. BASS: They were built in phases.  
10 The first one was built in the late 1960s, and the  
11 newest one was but the in '76 -- where is Scott?

12 MR. LEE: It sounds correct.

13 MR. BASS: Yeah, 1976. The large one  
14 was built in 1976.

15 MR. LEE: '74 or '76.

16 MR. BASS: But I've gone over a little  
17 bit of our problem, and I'm going to let Scott talk  
18 about the process by which we define these problems  
19 and our alternatives for cleaning up these sites,  
20 which include a rather unique alternative that  
21 Daryl went over briefly, that being the use of  
22 plants to take some of these shallow contaminants  
23 out of our ditches and pond bottoms.

24 So I would like to let Scott come up  
25 here. Scott works for the University of Chicago

1       who operates the Argonne National Laboratory  
2       Facility for the Department of Energy.

3               MR. LEE: Just informally, does  
4       everybody have a copy of the proposed plan? You  
5       may or may not have a copy. These are for your  
6       information.

7               As Greg mentioned, I work for the  
8       University of Chicago, which operates the Argonne  
9       National Laboratory. This is a brief summary of  
10      the overall project. These two binders,  
11      double-sided paper contains about 2,600 pages is  
12      the Comprehensive RI/FS. The proposed plan in your  
13      hand is a 28-page summary of it. And we will try  
14      to give you a little more detail to fill in the  
15      gaps today.

16              Argonne National Lab is identified as  
17      WAG 9 on the INEEL. We have 37 identified waste  
18      sites in the Federal Facility Agreement Consent  
19      Order that Rick had talked about earlier. We have  
20      divided those 37 sites up to 43 sites. We have a  
21      couple of ditches that were subdivided because of  
22      physical dimensions. This interceptor canal ditch  
23      had an associated mound. There are different  
24      exposure pathways to different receptors in the  
25      future. So to make it easier and a better risk

1       assessment, we divided the mound from the  
2       interceptor canal. In a similar fashion, we  
3       divided the industrial waste pond, which has  
4       standing water and has completely different  
5       exposure pathways from the drainage ditches that  
6       collect intermittent surface runoff that flows out  
7       there. So we have taken 37 sites, and now we're  
8       talking about 47 distinct units.

9               We have -- 43, I'm sorry. In this  
10      comprehensive RI/FS of the Argonne facility, we're  
11      looking at the comprehensive risk associated from  
12      the Interceptor Canal mound and ditch together with  
13      industrial waste pond and all these other units.  
14      That is how the comprehensive risk different from  
15      the individual risk. So we've evaluated all waste  
16      sites and Argonne National Laboratory-West in the  
17      comprehensive risk assessment, and we've included  
18      two waste sites from WAG 10. WAG 10 is the INEEL,  
19      the overall INEEL.

20             One of those WAG-10 waste sites is a  
21      wind-blown contamination and another site is a  
22      stockpile, soil that was approximately a half mile  
23      down the access road. How did those sites affect  
24      the risks from our sites? To accomplish this we've  
25      collected over 9,400 contaminants, specific samples

1 at the Argonne National Laboratory-West.

2 We've completed the Track 1, Track 2  
3 process. All of our Track 1, Track 2s have no  
4 further action determination. One site, EBR-II  
5 leach pit was used to dispose of our radioactive  
6 liquid up until 1975. We had what we determined to  
7 be an unacceptable risk by leaving that in place,  
8 so we went off and cleaned that up in 1993.

9 The liquid waste from 1975 through 1993  
10 were treated at our analytical lab in an  
11 evaporator, and the contaminants sent off for  
12 disposal. Once we stopped that process, our  
13 contaminated radioactive liquids are sent up to a  
14 system that is called a shade's system. It's a  
15 newer type of a self-contained evaporator, so we  
16 are not discharging anymore radioactive liquids at  
17 the Argonne National Laboratory.

18 All of these sites were, again,  
19 reassessed in the Comprehensive RI/FS to make sure  
20 that we haven't overlooked any contaminants, any  
21 pathways, or maybe we have new information that  
22 showed a new contaminant or a new site. So we have  
23 taken that and put it into the Comprehensive  
24 RI/FS. We are currently at the public comment  
25 period. The next step is the ROD, and then based

1       on the comments we will determine our next steps.

2               Similarly to NRF, we have similar  
3 pathways. We have an occupational receptor, which  
4 is someone currently working on the site for the  
5 next 25 years, for 250 days a year. And we have a  
6 future resident scenario who are there 350 days a  
7 year. That is a person living at the Argonne site  
8 100 years in the future. They will start living  
9 there at year 100 from now (2097), and they will  
10 continue living there for 30 years, 350 days a  
11 year.

12               For all receptor pathways, we've looked  
13 at soil ingestion and industrial inhalation,  
14 inhalation of volatiles, direct radiation exposure  
15 and dermal contact. And specific to the future  
16 residents, we have looked at ingestion of  
17 groundwater and inhalation of the contaminants in  
18 the groundwater in a hundred years through the  
19 inhalation pathway. Have also looked at the  
20 ingestion of homegrown produce. If they used this  
21 groundwater, what effect does that have on what  
22 they are going to take in?

23               Based on that evaluation and going  
24 through the risk assessment calculations, we have  
25 determined that cesium-137 is the only contaminant

1       that poses unacceptable risks to the human health  
2       exposure pathway. As Rick pointed out, we only  
3       have this in three sites: industrial waste pond,  
4       the interceptor canal and the interceptor canal  
5       mound. The concentrations with cesium-137 are in  
6       parenthesis underneath. Twenty-nine picocuries per  
7       gram in the industrial waste pond. The interceptor  
8       canal has 18 picocuries per gram. And the  
9       interceptor mound, that dredge pile, has 30  
10      picocuries per gram. This one-in-10,000 risk  
11      levels from CERCLA. The current concentration of  
12      cesium that would be acceptable is 23 picocuries  
13      per gram for a receptor living there right now.  
14      Not the occupational but the receptor. So you can  
15      see, we're over it, and for the occupational  
16      receptor, we're slightly over.

17               We have taken the residential exposure  
18      scenario 100 years from now (2097), what are the  
19      effects if we leave the contamination in there and  
20      it decays through its natural decay process.

21               AUDIENCE MEMBER: I'm probably just  
22      tired now, but mine doesn't match yours in terms  
23      where the bars are going -- I am tired. Here we  
24      go.

25               MR. LEE: We're on the residential

1 exposure. Through natural decay of the cesium,  
2 which has a half-life of approximately 30 years, if  
3 we left those contaminants there, this is the  
4 concentration or the curies of the contaminants  
5 that we have. What was 29.2 picocuries  
6 per gram would reduce down to 2.3 picocuries per  
7 gram through natural decay after 100 years.

8 We can see that this interceptor canal,  
9 based on the future residential scenario, is now  
10 within the acceptable range through natural decay.  
11 And, again, the mound would be right at that  
12 threshold.

13 Again, these three sites, the spill  
14 occurred right down here, contaminated that ditch  
15 all the way up to the pond. This canal was dredged  
16 and those soils are on this mound right now, and  
17 the contaminant, again, is cesium-137.

18 You will not have this slide in your  
19 overhead. We combined it with the human health  
20 one. We separated it to make it a little easier.  
21 In addition to evaluating the risk to human health  
22 and the environment, we have to look at the risks  
23 to the population of animals on the INEEL. We have  
24 created, as Keith said -- by having our water out  
25 there on the desert, we created this ecosystem.

1 I'm not going to call it a wetland because it has  
2 other implications with the U.S. Corps of Army  
3 Engineers, and we won't get into that.

4 But we have identified 12 inorganics  
5 that potentially pose unacceptable risks to  
6 individual ecological receptors. And if you could  
7 go to the next slide. These are shown in the next  
8 table. We have the interceptor canal again, which  
9 also has human health risks. We have the  
10 industrial waste pond, which has the human health  
11 risks. We have ditches A, B and C, and we have  
12 main cooling tower blow-down ditch, sewage lagoons  
13 and the industrial, waste lift station discharge  
14 ditch. Those are all shown on the next overhead.  
15 Greg has talked about those. And we will go to the  
16 next one.

17 Now, we have identified our  
18 contaminants. We have identified the sites that  
19 pose unacceptable risk. Now we're going to  
20 identify the cleanup or action levels. And we have  
21 a remedial action objectives for human health and  
22 the environment to clean up to any risk that is  
23 greater than one in 10,000. And for the protection  
24 of the environment, we're going to clean up any  
25 site that has a hazard quotient greater than ten.



1           We have evaluated 28 different treatment  
2 technologies. We have reduced some of those  
3 technologies, and we ended up with five  
4 alternatives. The first alternative, no action, we  
5 have to include as our baseline. And it's used to  
6 assess what is the effect of doing nothing on the  
7 sites.

8           Our limited action is what happens if we  
9 put a fence around and possibly monitor what are  
10 the future effects. We have containment with  
11 institutional controls, which is basically capping  
12 in place. I will talk about that later. And we  
13 have evaluated excavation disposal, which is  
14 capping off site or off the INEEL. And we have  
15 phytoremediation.

16           The EPA stipulates under CERCLA, the  
17 Comprehensive Environmental Response --  
18 Liability -- whatever, Act, that we had the nine  
19 evaluation criteria for assessing these  
20 alternatives.

21           The first two are the threshold  
22 criteria, and if we do not comply with protection  
23 of human health and the environment or we do not  
24 comply with the ARARs, or Applicable Relevant and  
25 Appropriate Requirements, we have to screen our

1 remedial alternatives. In our case we have  
2 screened off no further action, or no action  
3 because it does not meet the threshold criteria.  
4 And we screened off Alternative 2, limited action  
5 because it does not meet the threshold criteria.  
6 In addition, we have screened off one alternative,  
7 The native soil cover, cover evaluation,  
8 Alternative 3A. The other modifying criteria, we  
9 will show a table evaluating each alternative  
10 against each other based on that criteria later.

11 The next slide. As mentioned before,  
12 the Alternative 3, the containment, basically,  
13 means that. We scoop up the contaminated soil. We  
14 put them under a protective cap, and we continue  
15 monitoring that for a hundred years. We haven't  
16 treated the soils. We haven't done anything. We  
17 moved it from one location and put it in another.  
18 The type of cap that we're looking at is similar to  
19 the one that has been used at the SL1 project NRF  
20 is possibly looking at using that type of cap  
21 also.

22 Alternative 4 is excavation and  
23 disposal. This is where we would remove the  
24 contamination similarly to Alternative 3, but we  
25 would dispose of it in an on-site, that means on

1 the INEEL location, possibly at RWMC. This is  
2 Alternative 4A. We have the possibility of putting  
3 that soil on the site on the INEEL at a proposed  
4 INEEL soil repository.

5 Alternative 5 is phytoremediation.  
6 Phytoremediation is actually using of plants,  
7 phyto, to remove the contaminants from the soil.  
8 We have, as Greg mentioned, contaminants in the  
9 upper foot or foot and a half of soil, very  
10 susceptible to the root zone of the plants. We  
11 have identified an off-site use or off-site  
12 disposal area for these plants. We would remove  
13 the plants, root and all, dry the plants, bale the  
14 plants and then send it off to an incinerator. We  
15 have one incinerator on the INEEL at the WERF  
16 incinerator, which is currently operating. We're  
17 not sure it will be operating in the future, but  
18 that is one possible treatment facility to further  
19 reduce the contaminants.

20 The advantages of using phyto over  
21 Alternatives 4 or 3 are that we're dealing with  
22 less than one percent by weight of the material,  
23 and we're actually treating versus just removing  
24 the soil from one place to the next.

25 AUDIENCE MEMBER: On that, would that

1       involve more than one crop?

2                   MR. LEE:   Exactly.   For the cesium  
3       contaminants, I have three overheads, which are  
4       kind of hard to put up on the screen, but we have  
5       assumed one has a 5 percent uptake by plants. One  
6       has 4 percent uptake by the plants and one has a  
7       3 percent uptake each year by the plants. If we  
8       look at the 5 percent uptake, which is not that  
9       unrealistic for some of these contaminants, we  
10      would meet acceptable levels in four years. If we  
11      look at 3 percent, we can obtain acceptable levels  
12      after six years. These are kind of hard to see,  
13      but I can show you those afterwards.

14                   AUDIENCE MEMBER:   I have a zillion  
15      questions.

16                   MR. LEE:   Save those for about three  
17      more slides. The evaluation criteria, as I stated  
18      above, stated prior to this, we have evaluated each  
19      of the retained alternatives with the evaluation  
20      criteria and have ranked those as to how well they  
21      meet these requirements. It's not a ranking: this  
22      is the best, this is the worst, but they have to be  
23      either -- they are ranked as far as being the best,  
24      are they good at meeting it or are they the worst  
25      at meeting it?

1                   AUDIENCE MEMBER: Do we have a focus  
2 problem there?

3                   MR. LEE: We had a scan problem on that  
4 one. It's a scanned image. The one in your  
5 proposed plan is much better. It's table 3 on  
6 page 17.

7                   To retain an alternative, we are had to  
8 meet the first two threshold criteria. And  
9 Alternatives 3a, 4a, 4b and 5 all meet that  
10 criteria. Some meet it a little better than  
11 others, but they all fill the requirements.

12                  For long-term effectiveness and  
13 permanence, we have ranked Alternative 5 at being  
14 the best at meeting that because it does provide  
15 some permanence versus just removal of the  
16 contaminants off site. If the contaminants stay on  
17 site, we rank that the worse as far as Argonne is  
18 concerned.

19                  The same goes for a short-term  
20 effectiveness. We're going to have some exposures  
21 to people. We can deal with those with safety and  
22 health issues, and they are easy to deal with.

23                  Production of toxicity and mobility and  
24 volume through treatment, Alternative 5 is the only  
25 alternative that treats the soil, so it obviously

1 ranked the best.

2 Implementability, Alternative 3a, and 4b  
3 are easily implemented. They are currently being  
4 used at other facilities, and so we had to rank  
5 Alternative 5, phytoremediation, as being a little  
6 harder to implement because there are some unknowns  
7 associated with using phyto, and we're not going to  
8 hide that.

9 The costs are shown in the bottom. We  
10 have \$7.6 million for Alternative 3a. That is  
11 Table 4. I think it's on page 20, if you're  
12 looking at a proposed plan -- I'm sorry, it's on  
13 page 18.

14 The costs of using Alternative 4b, which  
15 is removing the soil and sending it to another  
16 INEEL facility, those costs are 5.9 million. And  
17 we look at Alternative 4b, take in the soil, bring  
18 it over to Central Facilities Area, put it on a  
19 rail car and sending it down to Utah, those costs  
20 are approximately \$13.1 million.

21 The cost for phytoremediation using  
22 seven field seasons, which gives us a safety  
23 factor, is anticipated at \$2.8 million. So  
24 obviously phyto ranked the best.

25 AUDIENCE MEMBER: Is there a yearly fee

1 or a one-time fee or how does that work when you  
2 send it to Enviro-Care?

3 MR. LEE: Enviro-Care has what they call  
4 a tipping fee. It's a per volume fee. That is  
5 currently about \$400 per cubic yard.

6 AUDIENCE MEMBER: Does that vary, based  
7 on the type of materials?

8 MR. LEE: Yes. These soils are  
9 considered low level radionuclides. It's \$400 per  
10 cubic yard. The INEEL facilities that were  
11 evaluated in Alternative 4a, potentially RWMC or  
12 the INEEL soil repository, the dollar value that  
13 their tipping fee is approximately \$10 to \$14 per  
14 cubic yard. So in addition to having costs  
15 associated with using a train to truck your soil  
16 down to Utah, you have \$386 per cubic yard, and we  
17 have 19,600 cubic yards, so you can see that is  
18 starting to escalate.

19 In summary, we have identified 34 -- I  
20 should phrase this differently. In summary, we  
21 have identified 39 units we have evaluated at  
22 Argonne. Thirty-four of those have risks that are  
23 currently acceptable and will be acceptable in the  
24 future. Those are will require no additional  
25 action. Those are shown up here.

1           We have five sites that are broken out  
2   into nine distinct areas that have unacceptable  
3   risks. Three of those have unacceptable risk to  
4   human health and eight of those have unacceptable  
5   risk to the ecological receptors.

6           We evaluated the remedial alternatives  
7   that could work for the Argonne National  
8   Laboratory. We based it on the evaluation  
9   criteria. It looks like Alternative 5 is the best  
10  choice or Preferred Alternative for cleanup. All  
11  these areas at the Argonne National Lab have  
12  involved using the plants to remove the  
13  contaminants, and then sending those plant matter  
14  off to be incinerated and then the ash would be  
15  consolidated and sent to a facility in Utah.

16          We are at the public comment period  
17  right now because we are soliciting your input. We  
18  want your questions. We want your concerns. And  
19  we want to record those. We encourage you to ask  
20  questions and ask for clarifications on anything  
21  that we have presented here tonight.

22          Again, our public comment period started  
23  January 12th and will be completed on February  
24  10th, similar to Argonne or NRF. And Record of  
25  Decision follows in a timely fashion, and our



1       Record of Decision is due this summer, which will  
2       document our Preferred Alternative, will document  
3       your questions and comments, and it will have our  
4       responses to those comments included in the Record  
5       of Decision. And we are currently scheduled to  
6       start implementing our alternative in the summer of  
7       1998, this summer.

8               So with that, you probably have a ton of  
9       questions, so I'll have Greg Bass come up here.

10              AUDIENCE MEMBER: I wanted to go back to  
11       talking about plants. I had a chance to read what  
12       it said and got some of my questions answered.

13              So at this point plants, specifically,  
14       haven't been determined as to which plants would be  
15       used; is that correct?

16              MR. BASS: As we speak, we're setting up  
17       an experiment in a greenhouse, a climate-controlled  
18       greenhouse at Argonne National Laboratory-East in  
19       Illinois. We sent them several bucket loads of our  
20       soil from our ditches at contaminated sites. They  
21       are going to experiment with different types of  
22       plant species on our actual contaminants, even our  
23       soil to see what kind of removal efficiency they  
24       get using different species. We prefer that they  
25       use native species, things like willow and poplar

1 family plants such as the Lombardy poplar for this  
2 type of remediation.

3 AUDIENCE MEMBER: Fast growing.

4 MR. BASS: Fast growing. They take up a  
5 lot of water, and they tend to sequester the heavy  
6 metals and radionuclides that are of a concern to  
7 us in their root system rather in their stems and  
8 leaves where other animals could browse on them.

9 MR. LEE: The people that are doing this  
10 test back East are Ph.D.s from the University of  
11 Chicago. They are experts in phytoremediation.  
12 We're utilizing their expertise in helping us  
13 along.

14 AUDIENCE MEMBER: This is going to be  
15 exciting. Moving on, the incinerator at INEEL that  
16 could be used for these -- there is an existing  
17 incinerator -- are you also consider using a  
18 advanced mix waste treatment facility as a possible  
19 option?

20 MR. BASS: I couldn't quite hear that.  
21 What is that? Do we propose to use an advanced  
22 mixed waste treatment facility as an incinerator  
23 for our plant matter? The timely, unfortunately,  
24 is not right. The advanced mixed waste treatment  
25 facility would not come on line soon enough for us

1 to use it.

2 AUDIENCE MEMBER: All right. And you  
3 answered my question. The plants will uptake other  
4 mixes of materials depending on what the plant  
5 gets?

6 MR. BASS: That's right.

7 AUDIENCE MEMBER: The last question,  
8 then, is the off-site disposal facility. Why off  
9 site and where off site for the ash?

10 MR. LEE: Why would we send the ash off  
11 site? At WERF specifically, they accept all kinds  
12 of waste from all the INEEL facilities. They do  
13 not treat their ash as an individual component, and  
14 you can deal with that. They do so many burns and  
15 then take ash from all these different areas to be  
16 tested, analyzed, solidified and then sent off  
17 site. Typically, I believe it's still in a mixed  
18 hazardous dried form, and we do not have the  
19 facility on the INEEL to accept that.

20 AUDIENCE MEMBER: I have a question. In  
21 this Alternative 5, is that going to require some  
22 irrigation?

23 MR. LEE: Yes.

24 AUDIENCE MEMBER: Is that going to have  
25 an effect on the contaminants that we're trying to

1 remove as far as them moving deeper into the  
2 substrata.

3 MR. BASS: The fact that they have not  
4 moved very deep over 35 years of them being in  
5 there means that they are not readily mobile. One  
6 particular contaminant, cesium, we are looking into  
7 adding soil amendments, things like ammonium  
8 fertilizers, which plants like anyway, that would  
9 enter the soil and free up the cesium, which would  
10 enter the soil water in solution and then be taken  
11 up by these plants.

12 AUDIENCE MEMBER: What about plants as  
13 monocotyledons like cattails and brushes and some  
14 of these brush grasses? Is there any  
15 consideration? Some of those would require more  
16 water. Would that have an adverse effect.

17 MR. LEE: We actually have cattail reeds  
18 and blue/green type algae growing in some of these  
19 ditches right now. We were too late in the field  
20 season to go out and select samples of living  
21 plants, living tissue, to see if they already  
22 have already uptaken the contaminants.

23 We believe the contaminates are in the  
24 upper soil in the ditches I can show you some  
25 graphics afterwards. We believe they are because

1       in the ditches where we have this real heavy septic  
2       anaerobic soil, real dark soil, our contamination  
3       is right around a foot and that is this whole  
4       active root zone. So this coming summer, we are  
5       hoping to go out there and see if these plants have  
6       actually been extracting contaminants.

7               MR. BASS: Scott, speak to the geology  
8       depth at Argonne.

9               MR. LEE: Argonne has, just like NRF, we  
10       have a thin layer of soil over this volcanic  
11       lava-flow type geography. That layer of soil that  
12       has been deposited by wind over the years, varies  
13       from just about zero feet to 14 or 15 feet in some  
14       areas. Typically at the bottom of our ditches,  
15       there is not that much soil, less than 4 feet of  
16       soil. So that means our contaminants are reachable  
17       by these root systems, especially looking at the  
18       plants that we're looking at using. So we don't  
19       think any of our contaminants of concern will be  
20       able to escape these root systems by being too deep  
21       or otherwise or other factors.

22               MR. KOCH: I was going to add that at  
23       other sites across United States, especially,  
24       treatment sewage plant used quite often to remove  
25       the contaminants from the water, especially

1       metals. It's not a new technology. It's just new  
2       to us.

3               MR. BASS: That is true.

4       Phytoremediation is in use at other DOE sites. The  
5       Ashtabula site in Ohio is using plants to remove  
6       uranium, for instance, from their soils. Army  
7       installations are using plants to extract explosive  
8       chemicals from their soils. Phytoremediation is  
9       being used at Chernobyl for their problems over  
10      there.

11             Phytoremediation research at Argonne  
12      East has been going on since 1990. So they have  
13      seven years under their belt, and they know what to  
14      look for, and they know when a plant is doing what  
15      we want it to and when it isn't. We're lucky to  
16      have that expertise at our disposal.

17             AUDIENCE MEMBER: I have to say this  
18      because I just amuse myself with it, but I hope  
19      that we don't have the Society for the Prevention  
20      of Cruelty to Plants.

21             MR. BASS: That is true. I will have to  
22      give the plants we select a pep talk before we  
23      plant them.

24             AUDIENCE MEMBER: You might mention what  
25      the local Indian tribe thought of

1       phytoremediation.

2               MR. BASS: The Shoshone/Bannock are our  
3 neighbors in eastern Idaho. They actually have  
4 used plants to consume nutrients in their waste  
5 waters that are discharged to the Snake River.  
6 They are at Fort Hall. They are very receptive to  
7 the use of living things to extract these  
8 contaminants, to do something that really we don't  
9 have the manmade technology to do right now.

10              So as far as the response that we got  
11 from giving a similar briefing like this to the  
12 Shoshone/Bannock tribe, they are proponents of  
13 phytoremediation.

14              They, like others, have a concern that  
15 we not introduce any exotic species to the INEEL  
16 that could reproduce or cause some sort of  
17 ecological harm, and we've heard their comments and  
18 we are going to take those comments very seriously  
19 in our selection of species.

20              MR. SIMPSON: Thanks, guys. Would  
21 anyone like to comment for the record on this  
22 project at this time?

23              I will just mention that the comment  
24 period remains open until February 10th. And like  
25 I said earlier, there are comment forms on the back

1 of each proposed plan.

2 I also wanted to mention that we will be  
3 back out conducting public meetings next month on  
4 the Test Area North Comprehensive Investigation,  
5 that will be later in the month of February. And  
6 then in late March or April we will be back to talk  
7 about the Waste Area Group 3 comprehensive  
8 investigation, which is the Idaho Chemical  
9 Processing Plant. So we have a real busy spring  
10 ahead of us.

11 Anyhow, thanks for coming tonight.  
12 We'll hang around after the meeting if you have  
13 anymore questions you would like to ask.

14 AUDIENCE MEMBER: Have you set the dates  
15 for the February waste area?

16 MR. SIMPSON: They are tentatively set.  
17 Okay. Thank you.

18  
19 (Meeting concluded at 9:30 p.m.).  
20  
21  
22  
23  
24  
25



