

PUBLIC MEETING  
IDAHO FALLS GRAND TETON MALL  
COMMUNITY ROOM  
IDAHO FALLS, IDAHO

JUNE 6, 1994  
6:30 p.m.

MODERATOR

Nolan Jensen, Department of Energy

TEST AREA NORTH GROUNDWATER CONTAMINATION  
OPERABLE UNIT 1-07B

Presenters:  
Dan Harelson, DOE-Idaho  
Greg Stromberg, EG&G

TRACK 1 INVESTIGATION AT TEST AREA NORTH  
OPERABLE UNITS 1-01, 02, 06, 09

Presenters:  
T.J. Meyer, EG&G Idaho

NANCY SCHWARTZ REPORTING  
2421 Anderson Street  
Boise, Idaho 83702  
(208) 345-2773

Reported By:  
Nancy Schwartz, CSR

PUBLIC MEETING  
IDAHO FALLS GRAND TETON MALL  
COMMUNITY ROOM  
IDAHO FALLS, IDAHO

JUNE 6, 1994  
6:30 p.m.

MODERATOR

Nolan Jensen, Department of Energy

TEST AREA NORTH GROUNDWATER CONTAMINATION  
OPERABLE UNIT 1-07B

Presenters:  
Dan Harelson, DOE-Idaho  
Greg Stromberg, EG&G

TRACK 1 INVESTIGATION AT TEST AREA NORTH  
OPERABLE UNITS 1-01, 02, 06, 09

Presenters:  
T.J. Meyer, EG&G Idaho

NANCY SCHWARTZ REPORTING  
2421 Anderson Street  
Boise, Idaho 83702  
(208) 345-2773

Reported By:  
Nancy Schwartz, CSR

## Page 1

(1) PUBLIC MEETING  
(2) IDAHO FALLS GRAND TETON MALL  
(3) COMMUNITY ROOM  
(4) IDAHO FALLS, IDAHO  
(5) JUNE 6, 1994  
(6) 6:30 p.m.  
(7) MODERATOR  
(8) Nolan Jensen, Department of Energy  
(9) TEST AREA NORTH GROUNDWATER CONTAMINATION  
(10) OPERABLE UNIT 1-07B  
(11) Presenters:  
(12) Dan Harelson, DOE-Idaho  
(13) Greg Stromberg, EG&G  
(14) TRACK 1 INVESTIGATION AT TEST AREA NORTH  
(15) OPERABLE UNITS 1-01, 02, 06, 09  
(16) Presenters:  
(17) T.J. Meyer, EG&G Idaho  
(18) NANCY SCHWARTZ REPORTING  
(19) 2421 Anderson Street  
(20) Boise, Idaho 83702  
(21) (208) 345-2773  
(22)  
(23)  
(24)  
(25) Reported By:  
Nancy Schwartz, CSR

## Page 2

INDEX	
	PAGE
(1) TEST AREA NORTH GROUNDWATER CONTAMINATION,	
(2) OPERABLE UNIT 1-07B	
(3)	
(4) Introduction	3
(5) Presentation	9
(6) Question and Answer Session	31
(7) Formal Public Comment	42
(8)	
(9) PRESENTATION ON TRACK 1 INVESTIGATIONS AT TEST	
(10) AREA NORTH, OPERABLE UNITS 1-01, 02, 06, 09	
(11)	
(12) Introduction	45
(13) Presentation	48
(14) Question and Answer Session	54
(15) Formal Public Comment	60
(16)	
(17)	
(18)	
(19)	
(20)	
(21)	
(22)	
(23)	
(24)	
(25)	

## Page 3

(1) IDAHO FALLS, MONDAY, JUNE 6, 1994  
(2) MR. JENSEN: Good evening, folks. (4) I'd like to go ahead and get started. My name (5) is Nolan Jensen, and I'll be the moderator (6) tonight.  
(7) I won't be presenting a whole lot, (8) but we would like to welcome you to our public (9) meeting tonight on a couple projects at Test (10) Area North. And also we're in the middle of a (11) comment period on these projects, and we have (12) received several written comments already, and (13) so we would like to thank those of you who have (14) submitted those if you're here.  
(15) I would just like to start with, (16) perhaps, we do have an agenda, and we'll try to (17) follow that, but we'll try to be fairly informal. (18) And if you'll notice on the back, there is an (19) evaluation form. As we go through this process, (20) when we do public meetings and comment periods, (21) et cetera, we try to improve those each time if (22) we

can, so if you have comments on things that (23) would help you out better, let us know on the (24) back of this form.

(25) There are a couple of reasons for

## Page 4

(1) our meetings, and I'll refer to this chart here. (2) Basically there are two reasons. Number one, we (3) would like to give you information, and second, (4) we would like to hear your concerns and receive (5) your comments. So, generally, it's a give and (6) take situation here.

(7) Tonight, as I mentioned, we're (8) talking about two parts of this proposed plan. (9) The first part is the Test Area North (10) groundwater contamination. Then the second part (11) will be several small scale investigations that (12) we refer to as Track 1s, and I'll explain what (13) that means a little bit later. I would like to (14) give you a real brief update on the Environmental (15) Restoration Program as a whole in general terms.  
(16) There are copies of these - are (17) they outside, Reuel? - as well, and also down (18) in the Mall. This is a Citizens' Guide that was (19) developed a couple of months ago, and it's just (20) a general overview of the entire program, (21) cleanup program. So if you would like to get (22) more general information, you're welcome to pick (23) up a copy of this.

(24) Just as far as some things that are (25) going on. Actually we're real pleased with our

## Page 5

(1) program. We signed the Federal Facility (2) Agreement that controls our work about three (3) years ago now, three and a half years ago with (4) EPA and the State of Idaho. And in that time we (5) have completed nine Records of Decision for (6) cleanups. We have two more that are very close (7) to Record of Decision, and then this one will be (8) Number 12. So we're real pleased with that.

(9) Also we have met 27 out of 27 (10) enforceable milestones under that agreement. (11) So, again, we're pleased with that. Also, in (12) some cases we are accelerating the schedules in (13) that agreement, and we have three waste area (14) group comprehensive investigations that are (15) about a year or two years ahead of schedule. (16) So, again, we're real happy with that.

(17) As far as things that are going on (18) as far as cleanups, we just finished up the TRA (19) Warm Waste Pond, which was an interim action. (20) We also completed an ordnance interim action, (21) cleaning up some of the ordnance and bombs, I (22) guess, for lack of a better term, that were (23) placed on the site by the Department of Defense (24) several years ago. That one was completed. And (25) then the TAN injection well interim action that

## Page 6

(1) we'll be talking about a little more tonight. (2) That is on-going right now.  
(3) So there are a lot of things going (4) on. The next things that will be coming up (5) are - we have the CFA or Central Facilities (6) Area Landfill investigation that will be coming (7) out this fall or winter. We have another (8) semiannual briefing, which is just a kind of a (9) programmatic overview. That will be coming out (10) this fall. So that just kind of gives you a (11) general idea of where the program is. And I (12) hope that helps a little bit.

(13) We have a couple of subjects we're (14) going to talk about tonight. And before I (15) introduce the presenters, I'd like to cover a (16) couple of things for you to just kind of (17) hopefully give a little bit of a head start on (18) where we're going. The INEL Federal Facility (19) Agreement divided the INEL up into ten Waste (20) Area Groups, and those essentially correspond to (21) the different facilities out at the site.

(22) Waste Area Group No. 1 is Test Area (23) North, and that's what we're talking about (24) tonight. Each of the Waste Area Groups is (25) further divided down into Operable Units and

## Page 7

(1) those Operable Units which are these numbers (2) here are further divided into the several sites. (3) Tonight we'll be talking about the Test Area (4) North groundwater investigation. And also (5) that's closely tied to the injection well (6) interim action which is already ongoing.

(7) We'll also be talking about several (8) preliminary investigations and those are several (9) smaller scale investigations at several sites in (10) other Operable Units, and we'll be talking about (11) 31 of those sites

tonight very briefly.

(12) After we do all of these (13) investigations, at the end for each Waste Area (14) Group there is a comprehensive investigation (15) that ties it altogether and we call that the (16) Comprehensive Investigation. And that will be (17) coming up for Test Area North and it will start (18) in about a year from now. Those will be ongoing (19) for each of those Waste Area Groups. So (20) hopefully that will give you a little bit of a (21) feel how this fits together. (22) One other thing that I would like (23) to talk about briefly, and for those of you who (24) were here last time, this will be a repeat. But (25) whenever we talk about the cleanup program at

#### Page 8

(1) INEL, and any cleanup under Superfund for that (2) matter, basically what we're doing is looking at (3) releases of contaminants or hazardous substances (4) and evaluating the risk that they pose, and so (5) the whole investigation comes down to a risk (6) assessment. And there are two parts of a risk (7) assessment that we talk about, or two different (8) aspects of risk.

(9) One is carcinogenic risk, or cancer (10) causing contaminants, and then noncarcinogenic (11) risk, or the other types of health effects. (12) Examples might be organ damage or birth defects. (13) Those sorts of things. So those are the two (14) general categories. And when we talk about risk (15) under each of those categories, we express them (16) in different ways. (17) For carcinogenic or cancer causing (18) risk, EPA has established a risk range and as (19) long as you're within that or below that risk (20) range in this area, then the risk is deemed to (21) be acceptable and cleanup is probably not (22) required. If you're above that risk range, then (23) it is most likely required. The risk range that (24) was established is between one and 10,000 and (25) one in 1,000,000 chances of someone contracting

#### Page 9

(1) cancer above the national average for anyone who (2) might be exposed to that situation.

(3) Under the noncarcinogenic risk (4) there is a threshold established at one. And we (5) talked about, rather than a risk potential, we (6) talked about a

hazard index which is a little (7) bit different. A hazard index of one or less, (8) basically says that we have a high degree of (9) certainty that whatever health effect is (10) associated with that contaminant will not happen (11) even for a sensitive population. So below one, (12) we're very certain that there is not going to be (13) a health effect.

(14) So, hopefully, that will just give (15) you a little bit of a heads-up on what we're (16) going to be talking about tonight and how these (17) investigations wind up, and they will be (18) referring to this chart throughout the evening (19) as we talk about the different projects.

(20) Before we begin the presentation, I (21) just have a couple of things logistic-wise to (22) cover. As I said, the meeting will be basically (23) in two parts tonight, and so what we'll do is (24) we'll have first the presentation on the Test (25) Area North groundwater. That will last 15 or 20

#### Page 10

(1) minutes. Then we'll have a question and answer (2) period that you can ask any question that you (3) want. And then after the question and answer (4) period, we'll have a formal comment period.

(5) And during that time you can (6) provide any comments orally that you would like. (7) And we have a court reporter here who will take (8) down those comments. And I'll kind of moderate (9) and help things along as we go.

(10) I believe that covers most of the (11) things that I wanted to cover. The last thing (12) that I want to do is introduce some of the (13) people that we have here tonight. First of all, (14) as we go into this investigation process, we do (15) that hand in hand with EPA and the State of (16) Idaho as signatories to our agreement.

(17) And I would like to introduce (18) Margie English tonight who is here from the (19) Idaho Department of Health and Welfare. Let her (20) give a statement and then Matt Wilkening from (21) the Environmental Protection Agency, Region 10 (22) out of Seattle. I'll just give them a minute (23) now.

(24) MS. ENGLISH: I'm the Waste Area (25) Group manager for the State working on the Test

#### Page 11

(1) Area North Project. And I also would like to (2) introduce a couple other members of our state (3) team that are here tonight. We have Jeff Fromm (4) who is a toxicologist who has helped evaluate (5) the sites from the risk aspect. We also have (6) Gary Winter who is a hydrogeologist who has (7) helped us evaluate the groundwater aspects of (8) the sites. And on behalf of myself and my (9) colleagues, I would like to welcome you here (10) tonight. We're very glad that you came.

(11) The State really encourages the (12) public participation process. And I can see by (13) looking around the room here that many of you (14) who are here tonight were also here at our (15) meetings about a month and a half ago for the (16) NRF and RWMC projects, and we're very happy to (17) see your continuing interest in the INEL. (18) The groundwater problem that you'll (19) hear about tonight is a complex one and it's one (20) that will not be easily solved. Over the past (21) couple of years we have worked with the DOE and (22) the EPA to evaluate this problem and to (23) formulate viable remedial alternatives. We (24) believe that the preferred alternative that (25) you'll hear about tonight is the best approach

#### Page 12

(1) to continue to address this problem.

(2) As Nolan said, the purpose of the (3) meeting tonight is to give you the data and (4) present to you the remedial alternatives, give (5) you a chance to ask questions and also to find (6) out what your opinions are on the remedial (7) strategy that we'll be proposing.

(8) The comments that you make, either (9) written or verbal, will then be used to help (10) formulate the final remedial decision for these (11) sites which will eventually be formalized in a (12) Record of Decision.

(13) So with that, I'd like to, once (14) again, thank you for coming and encourage you to (15) ask any questions, and also, please don't (16) hesitate to offer any comments on the sites (17) tonight. Thank you.

(18) MR. WILKENING: Matt Wilkening with (19) the EPA, a brand new project manager on this (20) site that I just took over from the previous (21) project manager about a week ago. Again,

we're (22) glad that you're here and putting in comments on (23) the site. We do appreciate any comments that (24) are given by the public on our proposal. We've (25) worked closely with the State and the Department

#### Page 13

(1) of Energy in drawing up this proposal and do (2) feel that it gives the best of possible proposals (3) that are out there that we've chosen for this. (4) So we'll let you continue on with the meeting.

(5) MR. JENSEN: Thank you. Before we (6) get started, I would just like to mention there (7) will be a presentation and then a question and (8) answer period after. We would like to keep it (9) fairly informal, so if you have a quick (10) clarification question during the presentation (11) go ahead and stop them and ask that. If they (12) are more lengthy, you might want to wait until (13) the end so we can get through it.

(14) I will now introduce Dan Harelson (15) who is the Department of Energy Project Manager (16) for Waste Area Group 1. And then I'll let Dan (17) introduce Greg.

(18) MR. HARELSON: I'm Dan Harelson. (19) I'm the Department of Energy WAG Manager for (20) Waste Area Group 1, which is the Test Area (21) North. As I'm sure most you have are aware, the (22) Idaho National Engineering Laboratory is a (23) Department of Energy site that's located about (24) 50 miles west of Idaho Falls. The entire site (25) covers about 890 square miles. Most of the

#### Page 14

(1) facilities are located here in the southern (2) portion of the site. The Test Area North, which (3) is the subject of tonight's meeting, is about (4) 28 miles north of these other facilities.

(5) The Test Area North was originally (6) established to support research and development (7) on nuclear powered aircraft. This was done in (8) the 1950s and early 1960s. Following cancellation (9) of that program in the early 1960s, there were (10) several efforts involving research and development (11) on nuclear energy. There are four facilities at (12) the Test Area North.

(13) The Technical Support Facility as (14) the name implies is a support facility where (15) there are maintenance

shops, vehicle shops, (16) offices. The guard gate is there. There is (17) a fire station there. There is also the (18) Three-mile Island core debris is being stored in (19) a pool there and there is the Hot Shop, which is (20) used to work on radioactive equipment.

(21) Other facilities include the (22) Initial Engine Test Facility, which was the test (23) area for these nuclear powered aircraft. It is (24) no longer in use. These are the same aircraft (25) engines that are on display down at the

#### Page 15

(1) Experimental Breeder Reactor 1. The (2) Loss-of-Fluid Test Facility and the Water (3) Reactor Research Test Facility were both used in (4) the research and development efforts on nuclear (5) energy.

(6) Currently, at the Loss-of-Fluid (7) Test Facility, the Army has a manufacturing (8) facility that manufactures advanced armor for (9) the M1-A1 tank. There are a couple of small (10) programs at the Water Reactor Research Test (11) Facility. One of them evaluates supercritical (12) water oxydation, which is a treatment process, (13) and there are also efforts going on for (14) developing a nuclear - not nuclear, just (15) explosive detection.

(16) This is an aerial view of the (17) Technical Support Facility from a little bit (18) different angle. The groundwater contamination (19) problem that we have at the Test Area North is (20) related to an injection well which is located (21) right about here (indicating). The injection (22) well is a 12-inch diameter pipe that went (23) directly to the aquifer, the Snake River Plain (24) Aquifer. It was used from about 1955 through (25) 1972 to dispose of pretty much all of the waste

#### Page 16

(1) water that was generated at the Test Area North. (2) That is everything from industrial and process (3) waste water to sanitary sewage effluent after (4) treatment.

(5) The most wide-spread contaminant (6) that we have at Test Area North is trichloroethene, (7) it is also called trichloroethylene or TCE. It (8) extends from the injection well about a mile and (9) a half and the plume is a half mile wide.

(10) This contamination was first (11)

discovered in 1987 during routine drinking water (12) sampling. An air sparging system was installed (13) in the drinking water supply to keep contaminant (14) concentration below the federal drinking water (15) standard. (16) In 1990 we performed sludge removal (17) and removed about 45 cubic feet of sludge from (18) the injection well itself. In early 1992 we (19) came out with public meetings for an interim (20) action and also to scope the Remedial (21) Investigation/Feasibility Study that is the (22) subject of tonight's meeting. The injection (23) well interim action began operation in about (24) mid-February of this year. We had originally (25) planned to operate that action at 50 gallons a

#### Page 17

(1) minute, pumping from the well at 50 gallons a (2) minute.

(3) We have run into a number of (4) surprises that has kept that pumping rate at a (5) lower level, but we have been removing (6) significant amounts of contamination. We have (7) been operating in a batch mode. That is, we (8) have been removing about 10,000 gallons at a (9) time and treating that and discharging it. And (10) to date we have removed about 3,000 pounds of (11) organic contaminants.

(12) I will introduce Greg Stormberg (13) now. He is one of the principal investigators (14) on the Remedial Investigation/Feasibility Study. (15) He can provide some more information on what we (16) did for the Remedial Investigation/Feasibility (17) Study. The range of alternatives we evaluated. (18) And then when he is finished, I will come back (19) and try to describe the alternatives as (20) presented in the proposed plan and explain why (21) we prefer the alternative that we prefer. So (22) with that I'll introduce Greg Stormberg.

(23) MR. STORMBERG: Good evening. What (24) I would like to do today is basically give you (25) two short descriptions of two areas of

#### Page 18

(1) Remedial Investigation/Feasibility Study.

(2) First, I'd like to present the (3) findings of the Remedial Investigation, that's (4) the characterization phase of the project, and (5) then present the

types and the range of (6) technologies that we evaluated and how we (7) refined that list of technologies to get to the (8) preferred alternative.

(9) Now, with respect to the Remedial (10) Investigation, there are two basic objectives of (11) the Remedial Investigation. One was to define (12) the nature and the extent of contamination or (13) the types of contamination that we have in the (14) injection well and the groundwater and, also, (15) what is its distribution? What are the (16) distributions of those contaminants? (17) Then secondly, we'll take that (18) information and evaluate the risks posed by (19) those groundwater contaminants. In order to (20) define the nature and extent of the contamination, (21) a number of groundwater monitoring wells were (22) drilled. They are symbolized by these black (23) dots here on this board that you see. And we (24) also conducted several rounds of groundwater (25) sampling and analysis, and what we found from

#### Page 19

(1) the Remedial Investigation as well as from past (2) investigations in 1989 and 1990, was that we (3) have basically seven contaminants that we're (4) concerned about.

(5) These include both volatile (6) organics and radionuclides. The volatile (7) organics, as Dan has already mentioned, TCE is (8) the most widely distributed, but it also (9) includes dichloroethene or DCE and (10) tetrachloroethene or PCE.

(11) The radionuclides that we detected (12) included cesium-137, tritium, strontium-90 and (13) uranium-234. As Dan also indicated, we're (14) seeing some surprises as a result of the interim (15) action, things that we weren't aware of (16) initially. We've detected americium-241 during (17) one of the samplings into the injection well.

(18) And we've also seen another (19) volatile organic, dichloropropane. So (20) basically, we have a fairly dynamic system. We (21) want to make sure that we keep an eye on these (22) as we continue the interim action and our (23) remedial action for this Operable Unit. (24) But what we can say about the (25) horizontal or lateral distribution of these

#### Page 20

(1) contaminants is, as Dan indicated,

TCE (2) represents the widest distributor, widest (3) migrated contaminant in the groundwater. It (4) extends from essentially the Technical Support (5) Facility a mile and a half down the groundwater (6) gradient to the Water Reactor Research Test (7) Facility and the plume is about a half mile (8) wide.

(9) All of the other contaminants that (10) we found in the groundwater are less widely (11) distributed and fit within this plume. In fact, (12) I think the next most widely distributed plume (13) is only about a half mile from the injection (14) well. So we'll use the TCE plume as our (15) baseline contaminant plume. (16) A second very important point that (17) we needed to address with respect to TAN was: (18) What is the vertical extent of the contamination? (19) In the subsurface TAN, we're basically dealing (20) with basalt flows with sediments that have been (21) laid down in between those basalt flows. We (22) call those sedimentary interbeds. And there (23) were two points that we wanted to look at.

(24) We wanted to look at how continuous (25) this interbed is and what is it composed of, or

#### Page 21

(1) what does it consist of and how thick is the (2) contaminant plume? The effective aquifer (3) extends from about 200 feet below land surface (4) to well over 800 feet. So we have a 600 or 700 (5) foot effective aquifer at TAN, and we needed to (6) define the extent of contamination in that area.

(7) What we found as a result of the RI (8) was that this interbed here is composed of silt (9) and clays and some fine sand. It ranges in (10) thickness from about 15 to about 40 feet thick (11) and it is fairly continuous, at least as far as (12) we know it today.

(13) We also found from groundwater (14) quality data that contaminants in the Snake (15) River Plain Aquifer above this interbed exceed (16) drinking water standards. The groundwater below (17) this interbed, there are no contaminants that (18) exceed drinking water standards. These two (19) features are fairly important with respect to (20) the remediation of the TAN area for the reason (21) that the interbed acts as an barrier to the (22) migration of the

contaminants from the upper (23) part of the aquifer to the lower part of the (24) aquifer.

(25) And secondly, with respect to

#### Page 22

(1) remediation, we're dealing with a much smaller (2) volume or potentially smaller volume of water (3) than if contamination had been distributed (4) across the entire effective thickness of this (5) aquifer. So those are two important features (6) that I want to point out. One other point I (7) need to bring out here is that with respect to (8) the injection well itself, disposal of waste to (9) the injection well ceased well over 20 years ago (10) and yet we still find the highest concentration (11) of contaminants in the immediate vicinity of (12) this well.

(13) This indicates at least one very (14) important thing and that there may be additional (15) or continued residual undissolved contaminants (16) in the vicinity of that injection well that are (17) continuing to provide input to the basalt flow (18) that we see further down gradient, so that's (19) important.

(20) Now with that information in hand, (21) the second step of the RI was to evaluate the (22) risks posed by those contaminants to human (23) health and the environment. And we looked at (24) three basically different scenarios. The first (25) was a current industrial use scenario where we

#### Page 23

(1) considered workers and visitors using water from (2) the production well. This is from about present (3) to the year 2040.

(4) And we looked at two future (5) residential use scenarios. One where water was (6) being used from the general groundwater plume, (7) and then the second future use scenario is water (8) being taken directly from the injection well (9) itself. For all three of these scenarios, we (10) evaluated several exposure pathways and how (11) those contaminants are taken into the body.

(12) The first was the inhalation of the (13) volatiles from volatile organics. And secondly, (14) we looked at the ingestion of that water, the (15) drinking of that groundwater. For the future (16) residents we also take a look at ingesting food (17) crops that had been

irrigated with the (18) contaminated water.

(19) What we found when we calculated (20) the various risks from those three scenarios was (21) that under the current industrial use scenario (22) where we're only using water from the production (23) wells that are currently operational, the total (24) cancer risk associated with that was one (25) additional incidence of cancer per one million

#### Page 24

(1) individuals. So we're below the acceptable (2) range as defined by EPA.

(3) That hazard index that was (4) calculated under that scenario was about .8. (5) That indicates that sensitive populations are (6) probably not going to be adversely affected by (7) exposure to those contaminants under the (8) scenario. For the future residential use (9) scenario where water can be pulled from anywhere (10) within the plume except the injection well, what (11) we found was that the total cancer risk was one (12) additional incident of cancer per 100,000 (13) individuals. That's within the acceptable risk (14) ranges by EPA. And that the calculated hazard (15) index was right about one, again, indicating (16) that adverse effects are probably unlikely to a (17) sensitive population.

(18) Now on the other hand, what we (19) found for the future resident in the use of the (20) water directly from the injection well, that (21) means if they can put a pump down there in the (22) future and pull the water and utilize it, we (23) found that the total cancer risk range from that (24) - or the total cancer risk was two additional (25) incidence of cancer per 1,000 people. So as you

#### Page 25

(1) can see - I'll use this little arrow here to (2) indicate it - we're above the acceptable range (3) defined by the EPA. So we have unacceptable (4) risk from the cancer causing constituents.

(5) With respect to the hazard index (6) and the noncarcinogens what we found was a (7) hazard index of about 23. That's a fairly high (8) hazard index and it's probable it would have (9) some adverse health effects associated with (10) consumption or use of that water.

(11) Knowing that we had unacceptable (12) risk from the use of the water from the (13) injection well, we

went ahead and performed a (14) Feasibility Study. And there are three basic (15) stages to the Feasibility Study. First is to (16) identify the range of viable alternatives or (17) potentially viable alternatives for that site. (18) In this case we're dealing with groundwater.

(19) The second stage is to then screen (20) that full universe or range of alternatives (21) against the criteria that has been established (22) by the EPA. The reason that we do that is so we (23) can refine that list of technologies to get it (24) down to a handful of remedial alternatives that (25) are potentially applicable to the site in

#### Page 26

(1) question.

(2) What I would like to do is just (3) kind of run through examples of the range of (4) alternatives that we identified and the (5) screening criteria that we put them against. (6) There are six general categories that we call (7) general response actions. And with the (8) exception of the No Action alternative, the (9) other five have a number of technologies that (10) are potentially applicable.

(11) For example, institutional controls (12) might include an alternative water supply, (13) fencing, deed restrictions, things of that (14) nature. Containment technologies would include (15) things such as physical barriers, route (16) pertinence or hydraulic containment where we (17) siphon the water to keep it in place and prevent (18) future and further migration. The collection (19) and removal of contaminants, probably the most (20) widely used in the groundwater contamination (21) problems, includes the use of extraction wells (22) and injection wells where we pull water - (23) contaminated water out and treat it and then we (24) reinject it back into the aquifer.

(25) Above-ground treatment technologies.

#### Page 27

(1) These are really the process options. How we (2) treat the water that we pull out of the aquifer. (3) These might include things such as air stripping, (4) carbon adsorption, UV oxidation, ion exchange, (5) things of that nature. The treatment in place (6) technologies are generally associated with (7) remediation technologies in place or in situ (8)

vitrification.

(9) Once we've identified that whole (10) list of technology you can tell that we can't do (11) a very detailed analysis on that whole range, (12) there are just too many alternatives. So we (13) apply the screening criteria as set down by the (14) EPA and these include things such as the (15) protection of human health. Does that (16) technology protect human health and the (17) environment? Does it comply with the federal (18) and state laws? Is it effective both in the (19) short term and the long term? How easy is it to (20) implement? What is its costs? Things of that (21) nature.

(22) Then we have a couple of other (23) criteria, the public and State acceptance, and (24) that is one of the reasons that we're here (25) tonight.

#### Page 28

(1) When we applied the screening (2) criteria to the list of potential groundwater (3) technologies we basically came up with four that (4) we considered viable for the TAN groundwater (5) contamination site, and Dan will talk about the (6) specifics of those alternatives as well as the (7) preferred alternative.

(8) MR. HARELSON: The proposed plan (9) presents four alternatives for remediation (10) action at the radioactive Test Area North. The (11) first alternative is No Action and the name (12) implies or suggests we wouldn't do anything to (13) remove contaminants or try to contain the spread (14) of contamination. As with all of the (15) alternatives, we would monitor the way (16) contamination changes over time.

(17) The second alternative that we (18) looked at was Limited Action using institutional (19) controls. Institutional controls limit access (20) to the water. They would prevent people from (21) being exposed to the contaminated water. This (22) could be done through either physical means such (23) as fences and signs.

(24) It could be done by putting a (25) supply well outside away from the contamination

#### Page 29

(1) plume, or it could be done through administrative (2) mechanisms like deed restrictions which would (3) say, if you're going to buy this land, you can't (4) put

a well in the contaminated plume. Its costs (5) are higher, there is a monitoring component and (6) then there are costs associated with those (7) controlling it.

(8) Alternatives 3 and 4 are very (9) similar. Alternative 3, which is our preferred (10) alternative includes three main components. The (11) first piece of it is continuation of this (12) interim action that we've spoken about. The (13) second piece is using an enhanced extraction (14) technology to try to remove that undissolved (15) secondary source material that we believe is in (16) the vicinity of the injection well. And the (17) third piece involves trying to remediate a (18) portion of the dissolved contaminant plume.

(19) We would continue the interim (20) action so that we would continue extracting (21) contamination from the groundwater while we are (22) designing and constructing this enhanced (23) remediation facility. Continuing the interim (24) action would also provide some measure of (25) hydraulic containment. It would pull the

#### Page 30

(1) contaminants back toward the well to some degree (2) and keep them from spreading as quickly.

(3) The enhanced removal technologies (4) that we are considering involve some steam (5) enhanced recovery contaminant or surfactant (6) enhanced recovery of contaminants. Surfactant (7) enhanced recovery involves, basically, the (8) injection of soapy water into the aquifer. The (9) soap helps to solubilize contamination so that (10) it moves towards the extraction well. It can (11) then be extracted, the contaminants removed and (12) then treated water would be reinjected at (13) federal drinking water standards or below (14) federal drinking water standards.

(15) The third piece of Alternative 3 (16) involves treating extracted, contaminated (17) groundwater and treating it from a fairly (18) small area of the dissolved contamination (19) plume. The wider area of contamination (20) outside of the small area would then be (21) addressed under both the WAG-wide RI/FS and (22) the INEL-wide RI/FS.

(23) The third piece would attempt to

(24) remove all contaminated groundwater that is (25) contaminated above 5,000 parts per billion

#### Page 31

(1) trichloroethane and reduce that contaminated (2) level to five parts per billion, which is the (3) federal drinking water standard.

(4) Alternative 4 is identical to (5) Alternative 3 except we would try to treat a (6) much larger portion of this contaminant plume. (7) At least in theory, that approach would restore (8) the aquifer to meet federal drinking water (9) standards by 2040. And the reason 2040 was (10) picked was that's a reasonable estimate of the (11) time when the site will become available for (12) other non-DOE uses.

(13) Alternative 3 is our preferred (14) alternative even though it does not address the (15) whole contaminant plume. It focuses on the (16) source of contamination and in order to clean up (17) the wider dissolved area of contamination, it's (18) necessary, first, to deal with the source. By (19) focusing on the source, we believe that we're (20) directing our resources at the worst part of the (21) problem.

(22) By deferring the cleanup of the (23) this wider area of contamination to the WAG-wide (24) and the INEL-wide RI/FS, we're building (25) flexibility into the process so that we can

#### Page 32

(1) adapt our cleanup strategy as we learn more (2) about the problem, and in the long run save (3) money in the overall cleanup action.

(4) So with that I'll turn it back to (5) Nolan.

(6) MR. JENSEN: Thank you. We'll go (7) ahead and start our question and answer period. (8) You've been fairly quiet, so don't be shy. I (9) will try to keep it very informal. We do have a (10) court reporter here keeping minutes, so if you (11) wish to speak, speak right up so she can hear (12) you and we'll go ahead for 15 or 20 minutes and (13) then we'll conclude that and go into the formal (14) comment period.

(15) So, please, just questions now and (16) if you have comments, save them until when we (17) actually do the comment period so that we're (18) sure that we get those down accurately. So, any (19) questions?

(20) AUDIENCE MEMBER: This plume that (21) is stationary, is it kind of moving out slowly (22) to involve more and more of the aquifer?

(23) MR. HARELSON: It is moving, as you (24) said, slowly. The water table at Test Area (25) North is fairly - Greg probably knows the

#### Page 33

(1) average velocity better.

(2) AUDIENCE MEMBER: Did you calculate (3) how fast it might have - in other words, you're (4) calculating according to time; right?

(5) MR. STORMBERG: Time and (6) distribution of the contaminants, yes.

(7) AUDIENCE MEMBER: If you deal with (8) the wells first, by the time you can get to (9) anything that you find about the plume -

(10) MR. STORMBERG: The groundwater in (11) the vicinity of TAN, and if you look at (12) groundwater flow, let's equate that to the worst (13) or most widely distributed contaminant, which is (14) TCE, we're going to assume it flows with the (15) groundwater with no retardation at about .13 (16) meters per day, or about three feet per day.

(17) AUDIENCE MEMBER: How soon will it (18) get to Idaho Falls?

(19) MR. STORMBERG: Well, let's put it (20) this way, we didn't calculate that.

(21) AUDIENCE MEMBER: Why not? We live (22) here.

(23) MR. STORMBERG: I know you do. In (24) the 20 years since operations have ceased (25) disposing to the well, it's only a mile and a

#### Page 34

(1) half.

(2) AUDIENCE MEMBER: In 20 years?

(3) MR. STORMBERG: Yes.

(4) MR. HARELSON: Didn't we do some (5) modeling out?

(6) MR. STORMBERG: We did do modeling (7) out to the year 2094, so essentially 100 years, (8) and if I remember the distance is accurate, (9) we're only talking about an additional migration (10) of 10 miles, 10, 15 miles.

(11) AUDIENCE MEMBER: Technologies will (12) be more sophisticated as we go on.

(13) MR. STORMBERG: But it's not moving (14) very fast.

(15) MR. HARELSON: Well, in these



RI/FS (16) that I mentioned at the end, one of them starts (17) in about a year, the other one starts in 1999, (18) is that right? So, we're talking on the order (19) of five years rather than 100 years.

(20) AUDIENCE MEMBER: One more thing, (21) when you pulled out the stuff from the well and (22) you treated it or you removed it or you treated (23) it, you removed 3,000 pounds of sludge, you say?

(24) MR. HARELSON: We've removed about (25) 3,000 pounds of contamination since this interim

Page 35

(1) action started. The treatment process, there is (2) a pretreatment unit that uses ozone and that has (3) destroyed a significant fraction of that (4) contamination. Some of it has also been (5) captured on a carbon adsorption carbon unit that (6) is being recycled off site.

(7) AUDIENCE MEMBER: I just kind of (8) wondered if you ever had to take what you found (9) and stored it somewhere?

(10) MR. HARELSON: Well, the organic (11) contaminants – a significant portion was (12) destroyed by this treatment process, this (13) pretreatment process. The portion that was not (14) will be recycled at an EPA permitted off-site (15) facility.

(16) AUDIENCE MEMBER: Here in Idaho?

(17) MR. HARELSON: Not certain, but (18) possibly.

(19) AUDIENCE MEMBER: Where is it now?

(20) MR. HARELSON: It's in storage at (21) Test Area North.

(22) AUDIENCE MEMBER: Is any of the (23) water within this plume used on site right now (24) or were those examples purely hypothetical?

(25) MR. HARELSON: Yes, it is used on

Page 36

(1) the site. The two production wells that supply (2) drinking water to the Test Area North are (3) located up here right on the edge of the five (4) parts per billion plume. That water is treated (5) with this air sparging system. The only (6) contaminants that we're seeing in those (7) production wells are the organic contaminants, (8) we're not seeing any of the radionuclides.

(9) AUDIENCE MEMBER: The values that (10) you put up on the chart as far as risk levels, (11) were those average values, 95 percent values?

(12) MR. HARELSON: For drinking from (13) the plume, it is an average value, in aerially (14) weighted average concentration for the (15) approximate plume, so the concentration at any (16) given point in the plume was represented by an (17) aerially weighted average and that aerial (18) weighting was based on a computer model that was (19) performed.

(20) AUDIENCE MEMBER: So did you do an (21) uncertainty analysis?

(22) MR. STORMBERG: Yes, we did. I (23) can't give you the specifics. We did bring a (24) copy of the Remedial Investigation report and (25) we'll go into detail on that on the baseline

Page 37

(1) risk.

(2) AUDIENCE MEMBER: Do you know what (3) some of the bounds were on the lower?

(4) MR. STORMBERG: We can look it up (5) and find that answer for you.

(6) AUDIENCE MEMBER: The residential (7) scenario, was that an indoor and an outdoor (8) scenario for houses? I thought I saw houses.

(9) MR. HARELSON: I think that was (10) primarily for illustration. It looked at (11) inhalation and ingestion of the water. (12) Inhalation of vapors off the water, ingestion of (13) water and then ingestion of crops irrigated by (14) the water.

(15) AUDIENCE MEMBER: Inhalation (16) indoors?

(17) MR. HARELSON: By showering, I (18) think, was the primary mechanism.

(19) AUDIENCE MEMBER: Did you have (20) basement scenarios in those houses?

(21) MR. STORMBERG: No, we didn't have (22) basement scenarios since we're dealing with an (23) aquifer and we're pulling the contaminants up. (24) We have a 200 foot vadose zone where we haven't (25) detected; basement was not a scenario option or

Page 38

(1) a viable scenario at this time.

(2) AUDIENCE MEMBER: You haven't (3) detected any plumes outside?

(4) MR. STORMBERG: No, we didn't.

(5) AUDIENCE MEMBER: I would like

a (6) clarification on your question you were asking (7) about the lower bound, what do you mean?

(8) MR. MEYER: Usually when you do a (9) risk analysis – just giving an average value (10) doesn't tell you too much about it. You really (11) need to know the upper and lower bounds of the (12) distribution of the risk value. Otherwise, you (13) don't know how uncertain it is. The reason I (14) talked about the basement is a lot of times if (15) you have a basement, we consider basements in (16) houses due to the pressure differential, it (17) takes the plume and sucks into the basement (18) gathering a higher concentration in basements.

(19) MR. STORMBERG: With respect to (20) that, as I mentioned, that vadose zone is so (21) thick that it's basalts and some sediments and (22) we haven't seen any vapor contaminants in the (23) vadose zone.

(24) AUDIENCE MEMBER: When you were (25) doing your population, you said sensitive

Page 39

(1) population, what particular sensitive population (2) were you looking at? Were you looking at little (3) children? Were you looking at adults?

(4) MR. JENSEN: You're talking about (5) just hazard index? This statement on here?

(6) AUDIENCE MEMBER: Right.

(7) MR. JENSEN: For sensitive (8) population.

(9) MR. STORMBERG: Well, the sensitive (10) population in the general term equates to the (11) young infants and children and the older people (12) who may be more susceptible to coming down to (13) organ damage as a typical default when you look (14) at that.

(15) MR. JENSEN: Those by the way, (16) those are established not as part of the risk (17) assessment, but those are established by EPA and (18) other guidance those indices for those (19) contaminants.

(20) MR. MEYER: Yes, I think, maybe, I (21) can address the question about bounding the (22) risk. I think – were you asking about the (23) probability of distribution of risk? Because (24) basically all Superfund risk assessment involves (25) using an average value for

contamination, then

Page 40

(1) using fixed percentiles for all of the other (2) exposure parameters and the uncertainty (3) analysis. The way it's usually done as more of (4) a qualitative analysis. Are you talking about (5) more of a probabilistic analysis like a Monte (6) Carlo?

(7) AUDIENCE MEMBER: Either one. In (8) other words, if you were going to use upper (9) bound values, even if they were to point the (10) estimates to provide a table, it would be (11) helpful to me.

(12) AUDIENCE MEMBER: Is there any sort (13) of cost risk chart that we could see?

(14) MR. HARELSON: Not so much cost (15) versus risk. I believe, this alternative, if I (16) remember right, the risk in the plume, the (17) average plume, with the source controlled, is (18) about one times ten to one minus five. By (19) spending the \$21- to \$26 million, we would (20) reduce that risk to about four times ten to the (21) minus six. By spending 58 to 96, we would get (22) down to two times ten to the minus six. That's (23) a rough number from calculations that I did. (24) So we're getting a great deal of risk reduction (25) for this amount of money and it declines the

Page 41

(1) amount of risk reduction that you get for (2) spending more on that.

(3) MR. STORMBERG: Reuel, do we have a (4) copy of the Feasibility Study here?

(5) MR. SMITH: I don't believe so.

(6) MR. STORMBERG: I can get one at (7) the break. There is one in my car, I think. (8) It's a time residual risk plot with the various (9) scenarios, so I'll go get that and make it (10) available.

(11) MR. JENSEN: Why don't we make it (12) available at the break, if anyone wants to see (13) it.

(14) AUDIENCE MEMBER: I just have one (15) more question. Did you consider any sort of (16) dermal absorption in the shower scenario as (17) exposure?

(18) MR. STORMBERG: No. Again, we just (19) didn't feel that the contact time would be (20) significant enough to warrant that as an (21) advisable exposure pathway.

(22) AUDIENCE MEMBER: Did you do any (23) sort of testing?

(24) MR. STORMBERG: No.

(25) MR. JENSEN: Any other questions?

Page 42

(1) Even if you don't have questions right now, Dan (2) and Greg will be around at the end, so if you (3) want to stick around and talk one on one, they (4) will be available.

(5) The way our agenda is set up, we'll (6) go directly into the comment period now, but we (7) could take a very short break if anybody wants (8) to before that. Does anybody need to take a (9) break? Okay. We'll go ahead and start right (10) into that. One more chance on the questions? (11) Any more questions?

(12) Before we start the comment period, (13) I just want to mention a couple of things. That (14) is, we're in the middle of the comment period (15) which lasts until June 17th. If you don't want (16) to give an oral comment tonight here with the (17) court reporter, at the back of the proposed plan (18) there is a comment sheet. It is postage paid (19) preaddressed, so you just need to fill it out (20) and send it in and we'll get it. You can do (21) that anytime until June 17th and we welcome (22) those.

(23) Since this is a more formal part of (24) the meeting and it is a comment period, I would (25) like to ask you to please stand up and state

Page 43

(1) your name if you have a comment. State your (2) name and then give your comment.

(3) Reuel, did we have anyone sign in (4) as a commenter?

(5) MR. SMITH: I'll go look.

(6) MR. JENSEN: We'll have those who (7) actually signed up first, and then we'll just (8) open it up for general comments. So no one (9) signed up to give a comment, so is there any one (10) who would like to stand and give a comment at (11) this time?

(12) MR. WHITE: C.E. White. I've read (13) this thing pretty thoroughly and we've had some (14) discussion one to one, too, here tonight and (15) previously. What you accomplish with remedial (16) alternative No. 3 would be the preferred one. (17) It certainly

appears from anything that you can (18) come up with from the study, it would alleviate (19) any major problems. I can't see where there (20) would be worth spending all that additional (21) money to do four when you don't really (22) accomplish that much more out of it. (23) Your relationship between what's (24) accomplished against what is spent. The closer (25) you get to four from three, the more the ratio

Page 44

(1) changes and you get less for your money. Not (2) that money should be the total alternative or (3) total basis of the alternative, but with what (4) you get out of three, certainly seems to solve (5) the problem, unless, in the future it's (6) discovered that three is not doing what we (7) thought it was going to do. Let's put it that (8) way.

(9) One of your surprises was finding (10) some things which you didn't know were there. (11) Well, who knows, maybe in the future, although (12) you'll take care of those now, who knows in the (13) future if something else comes up in their (14) little head, and you have to reassess something. (15) But, to me, the Remedial No. 3 would be the way (16) to go, and it would be, I think, enough (17) protection to satisfy most anybody that I've (18) ever talked to about it.

(19) MR. JENSEN: All the comments that (20) are submitted tonight, there will be a formal (21) response to those, and the next step in the (22) process is to come out with a Record of (23) Decision, and that Record of Decision will (24) include a response in the summary with written (25) responses to your comments.

Page 45

(1) MR. WHITE: I would like to add (2) one more item to what I just said. We were (3) discussing the injection of other substances to (4) try to, let's say, loosen up some of the things (5) that are in that plume, the two were the steam (6) and the other so-called soapy alternative.

(7) Certainly the steam, if it works, (8) the way it works in the oil the fields, would be (9) a much cleaner type operation to go into rather (10) than injecting some other item into the ground (11) and then have to pull that out, soap or whatever (12) that they drove into this thing, so I'm assuming

(13) that in looking at these that the steam would be (14) looked at first, am I right?

(15) MR. HARELSON: Right now they are (16) being treated equally.

(17) MR. WHITE: Equally?

(18) MR. NOVAK: My name is Steve Novak. (19) And, I guess, I agree with Mr. White that the (20) Alternative No. 3 is probably the best for your (21) cost ratio, and groundwater is very difficult to (22) clean up. It's a difficult problem and cleaning (23) up the contaminated sediments and residuals, I (24) think, is your best alternative as opposed to (25) going after the entire plume.

#### Page 46

(1) MR. JENSEN: Okay. Thank you. (2) Anyone else? Again, even if you don't comment (3) now, remember, can you submit it in writing, so (4) it's not your last chance. Going once, thank (5) you. That will conclude this portion of our (6) meeting. We'll take about a ten-minute break (7) and then we'll come back.

(8) The second portion of the meeting (9) is much shorter, however, we'll talk about the (10) preliminary studies. So we'll go ahead and take (11) a ten-minute break and see you in about ten (12) minutes.

(13) (A recess was taken.)

(14) MR. JENSEN: If we can get you to (15) take a seat, please, we'll go ahead and get (16) started.

(17) The second part of this presentation (18) will go pretty quick tonight. I'll give you a (19) brief introduction to what the second part of (20) the meeting is about. When we signed the (21) Federal Facility Agreement, which controls our (22) whole cleanup program, there were about 400 (23) sites at the INEL that were identified as (24) potentially being contaminated and needing some (25) type of investigation.

#### Page 47

(1) Out of those 400 sites, some of (2) them like the TAN groundwater that we talked (3) about earlier, those were obviously problems and (4) we needed to deal with those. But in a lot of (5) cases a lot of those sites were identified based (6) on interviews with people. There might have (7) been a spill out there. We know there is an (8) underground tank that is going to be

pulled, so (9) a lot of the sites we had little information (10) about and were much smaller scale problems.

(11) But we still needed to evaluate (12) them. So under our agreement we set up a (13) preliminary investigation process. And there (14) are two parts of that, and we refer to those (15) limited field investigations as Track 1s and (16) Track 2s. And basically what those are: A (17) Track 1 is just a very straight forward (18) evaluation based on, mostly, on existing data. (19) Once in a while we'll take a quick sample or (20) two, but in general we base that on existing (21) data and see if we can come up with a decision (22) based on that.

(23) The other is a Track 2, which is a (24) little bit more extensive, where we feel like we (25) actually need to go out and collect a little bit

#### Page 48

(1) of field data to do an evaluation. So in both (2) cases, out of those 400 sites, the majority of (3) those go through this process first. And as we (4) complete the Track 1 and Track 2 limited (5) investigations, there are a number of outcomes.

(6) First of all, if we find that the (7) contamination is not existent or very low and (8) the risk is low, then we observe where we can (9) come to a determination that we don't think (10) action is necessary. Or if it's something that (11) a cleanup is very obvious, like an oil spill or (12) something like that, we might do a removal (13) action and go out and clean up the dirt or (14) whatever.

(15) However, in some cases we find that (16) we need to do more investigation, and in that (17) case, we might bump that site into one of our (18) Remedial Investigation/Feasibility Studies, like (19) was done on the TAN groundwater.

(20) Tonight the investigations are all (21) at the Track 1 site. The ones that we're going (22) to be talking about were those that fell into (23) this category. So there has already been a (24) brief evaluation done and a preliminary (25) determination that no action is necessary. And

#### Page 49

(1) so tonight we're just formalizing that and (2) putting it out for public comment.

(3) I will now introduce T.J. Meyer who (4) works for EG&G, and he will be the presenter on (5) these sites. So, T.J., take it away.

(6) MR. MEYER: Good evening, my name (7) is T.J. Meyer. I'm project manager for EG&G for (8) Test Area North, and I will be discussing 31 (9) Track 1 investigations that were completed this (10) year and presenting the agency's recommendations (11) for those 31 sites.

(12) As Nolan said, Track 1 and Track 2 (13) processes use preexisting information or (14) information that can be obtained from the (15) facility through process knowledge or historical (16) records to try to evaluate the site to determine (17) what the next recommendation or what the next (18) decision should be for each of the sites. (19) There are a total of 40 Track 1 (20) sites at TAN. We'll be talking about 31 of (21) them tonight. The other nine, we will not be (22) discussing. The preliminary Track 1 investigation (23) determined that there needs to be some more (24) investigation done at those particular sites.

(25) The 31 sites tonight consist of 18

#### Page 50

(1) either former or currently inactive underground (2) storage tanks. Most of these tanks have been (3) excavated and removed. The site has been (4) reestablished. I think there are three to four (5) sites that tanks were stored remaining in the (6) ground but they've been drained and any of the (7) product in them now, they basically have been (8) stabilized.

(9) Ten of the 31 sites consist of (10) potentially contaminated soil sites. And I say (11) the word "potentially" because in some cases the (12) sites were just large areas where equipment was (13) stored and it was unknown what the condition of (14) the site was. Some of them just looked like (15) disturbed sites and other cases, some of the (16) debris had been removed. That's why we use the (17) word "potentially." In three of the sites are (18) waste water disposal sites. (19) Each of these sites has had a (20) Track 1 investigation done. And the Track 1 (21) process has been evolving over the past three (22) years and it consists of putting together a (23) document similar to this one here, and I

have (24) all 31 that we're going to be talking about (25) tonight, so if anybody has a question about any

#### Page 51

(1) of the ones that you read about in this plan, we (2) can actually pull out the Track 1 document and I (3) can show you and then you can go to the public (4) record and research it further if you would (5) like.

(6) The document basically has a series (7) of questions and tables in it where we go (8) through and we evaluate the site and we try to (9) compile all the historical knowledge, process (10) information, historical site use, photographs, (11) employee interviews to try and understand how (12) the site was used, what the site condition was, (13) what would have led to contamination at the site (14) to try to evaluate it historically, and in some (15) cases, or in all cases, we conducted a site (16) visit to evaluate the site, and in many cases we (17) actually collected some sampling to determine (18) what the current site condition was. (19) With all that information, both the (20) historical and the current information about the (21) site that was compiled into a qualitative risk (22) assessment, then the whole package was presented (23) to the agencies for their review. (24) The earlier discussion today talked (25) about the Test Area North facility. I'm going

#### Page 52

(1) to go over some of those major facilities again. (2) There is the LOFT, or the Loss-of-Fluid Test (3) Facility. The Initial Engine Test Facility, (4) which is located up here (indicating). The Test (5) Support Facility, which is the main facility at (6) TAN. And then the Water Reactor Research Test (7) Facility or WRRTF.

(8) Shown here in - well, it's a (9) magenta color or purple color - are (10) underground storage tanks. Each of the (11) facilities have underground storage tanks. The (12) tanks were there for either vehicle refueling or (13) for emergency generator use or for boiler (14) operations for heating the building. Shown in (15) green are the soil contamination sites. Only (16) the Loss-of-Fluid Test Facility and the (17) Technical Support Facility have these potential (18) sites present.

(19) All of the waste water sites are (20) located at the Water Reactor Research Test (21) Facility. And all the water that was discharged (22) in these ponds was the processed water or (23) sanitary water from the facilities.

(24) Of the 40 Track 1 sites at TAN, 23 (25) sites were termed to have no contamination

#### Page 53

(1) present at them. Nine of the sites, as I (2) mentioned earlier, require additional (3) investigation and won't be discussed tonight. (4) At eight of the sites, contamination was found (5) and we conducted a risk assessment on them and (6) the risk assessment showed that there was an (7) acceptable level of risk.

(8) The types of sites shown here are (9) where contamination was found and each of the (10) facilities had a site where some contamination (11) was found. The types of sites can basically be (12) grouped into two types, underground storage tank (13) sites were sites where underground storage tank (14) material was used or where underground storage (15) tank sites had leaks, and then there was one (16) site where one spill of radioactive liquid (17) occurred.

(18) The types of contaminants that were (19) found were your typical petroleum hydrocarbon (20) contaminants: benzene, toluene, ethylbenzene (21) and xylene. And the only radionuclide detected (22) at the one contaminated soil site was cesium-137.

(23) The risk assessment done on this (24) list of contaminants showed that there were two (25) contaminants that had potential of causing

#### Page 54

(1) cancer, benzene and cesium-137. The risk (2) assessment when it was completed for both of (3) these sites showed that the potential risk at (4) both of the sites was below the acceptable risk (5) range, which meant there was very low likelihood (6) for potential risk there from these (7) contaminants.

(8) The risk assessment for the (9) noncarcinogenic contaminants, the ethylbenzene, (10) toluene and xylene, on the EPA guide was below (11) the level where it was likely that sensitive (12) population would experience adverse health (13) effects. In short, it's not likely

that there (14) would be any of the health effects derived from (15) these contaminants present at the sites.

(16) The contaminant levels are shown in (17) the proposed plan for each of these sites, each (18) of these eight sites, and there is a table, I (19) believe it's on page 14, which shows the risk (20) range of these contaminants that would have to (21) be present at the site to cause a problem. And (22) if you look at the proposed plan and at the (23) different sites where contaminants were found, (24) you will see that the contaminants detected at (25) the site are orders of magnitude below the risk

#### Page 55

(1) range that is shown here on this table.

(2) In summary, for these 31 sites the (3) agencies are recommending no further action (4) based on the 23 sites where the preliminary (5) investigations, historical records and field (6) sampling have shown no contamination is present. (7) And for the eight sites a risk assessment has (8) been conducted that indicate that contamination (9) at the sites pose acceptable levels of (10) contamination.

(11) MR. JENSEN: We'll just go ahead (12) and let T.J. stay here and you ask any questions (13) that you like. Any questions for him?

(14) AUDIENCE MEMBER: Looking at your (15) table, what scenarios were used to determine (16) these values?

(17) MR. MEYERS: In the Track 1 process (18) there is a guide document that has been put (19) together and published and it pretty much (20) stipulates the scenarios and the exposure routes (21) that are presented. There is an occupational (22) exposure route, where any of the contaminants (23) within the first four feet are considered (24) available to an occupational receptor. And then (25) there is a residential scenario, and the

#### Page 56

(1) residential scenario basically assumes that if (2) someone would build a house right there at that (3) facility and take the dirt and create a basement (4) and take the dirt down to ten feet up and spread (5) it around their house and it would be available (6) for both ingestion and for inhalation.

(7) The basement scenario that you

were (8) talking about earlier where contaminants migrate (9) from a volatile point of view was not looked at. (10) The main reason was that these were considered (11) the most sensitive exposure routes and that was (12) the most sensitive – or most likely scenario or (13) the most reasonable scenario that was used.

(14) AUDIENCE MEMBER: I'm noticing he (15) is using air inhalation. In that basement (16) scenario, a basement scenario for indoor would (17) be a more dominant pathway than air inhalation.

(18) MR. MEYERS: The air inhalation (19) here is mainly, like, from an outdoor area where (20) you would inhale soil dust into your body. The (21) air volatilization –

(22) AUDIENCE MEMBER: Dust inhalation?

(23) MR. MEYERS: Yes.

(24) AUDIENCE MEMBER: Okay. Above that (25) is air volatilization.

#### Page 57

(1) MR. MEYERS: That is the next (2) pathway.

(3) AUDIENCE MEMBER: Well, see, it (4) doesn't make sense for me to do it that way (5) without including the indoor scenario, because (6) the indoor scenario is most likely to be a (7) dominant pathway as opposed to your outdoor (8) scenario by, I would say, several factors of (9) ten, a hundred, much greater. So I don't (10) understand why you put down the air (11) volatilization pathway but not an indoor (12) basement scenario.

(13) AUDIENCE MEMBER: I think it's (14) difficult when you have risk base numbers like (15) this – this is – if you notice for air (16) volatilization and the air inhalation there are (17) ranges presented.

(18) AUDIENCE MEMBER: Right.

(19) AUDIENCE MEMBER: And that is (20) because these are sensitive to the size of the (21) site. And I think there would be a number of (22) other variables involved if you were going to (23) try to come up with risk based numbers that was (24) based on inhalation within a house. Actually (25) EPA's risk base concentration for contaminants

#### Page 58

(1) are based only on ingestion, on water ingestion (2) or soil ingestion. So

this table goes a step (3) beyond that to try to look at some of the other (4) pathways as well.

(5) AUDIENCE MEMBER: I agree, but my (6) point is if you're going to do air volatilization, (7) then Mr. Meyers said that they didn't look at (8) indoor pathways because it was a dominant (9) factor. I disagree that it is a dominant (10) pathway essentially compared to outdoor (11) volatilization pathways.

(12) AUDIENCE MEMBER: Depending on (13) route of entry into the house, you have less (14) pollution.

(15) MR. MEYER: Yeah. It's like radon, (16) your concentrations are going to be much higher (17) indoors than they will be outdoors. And that is (18) probably an important pathway essentially (19) since you have fairly low risk base acceptable (20) values for your outdoor, I would expect your (21) indoor to be even more conservative.

(22) AUDIENCE MEMBER: That's a good (23) point.

(24) MR. MEYER: I guess it's hard for (25) me to remember three or four years ago when they

#### Page 59

(1) were setting up this Track 1 risk assessment (2) process. But it really – it came down to how (3) do you take a contaminant level that is in the (4) soil, you can detect a sample and then say how (5) much of that is going to get into a particular (6) basement in a house. It was just beyond the (7) ability or the attempt here in this Track 1 (8) investigation to do that level of monitoring.

(9) AUDIENCE MEMBER: But doesn't EPA (10) have guidelines for that? Doesn't RAGS do (11) models or indoor basement determination of (12) concentration?

(13) MR. MEYER: Not specifically that (14) I'm aware of. The modeling that I'm aware of is (15) done mostly just for ingestion of soil or (16) drinking water standards. They might have (17) specifically done something like you're (18) mentioning with the radon concerns. They might (19) have some models along that line, but I'm not (20) aware of that list of chemicals that we've done (21) modeling on, but then, again, I'm not a risk (22) analysis person for EPA either. I could check (23) with somebody specifically and get back to

you (24) on that if that would be helpful.

(25) MR. STORMBERG: I think there are

#### Page 60

(1) ways of addressing indoor models. And some (2) sites at INEL, for example the organic (3) contamination in the vadose zone at the RWMC, (4) they did look at some indoor modeling for (5) volatiles as well, but again, that was a (6) remedial investigation and a much more intensive (7) level of investigation than for these Track 1.

(8) MR. MEYER: I think that might be (9) one point to bring out, Jeff, is that these were (10) really just the beginning process to look at it (11) as a site, and most of the sites no contaminants (12) were found. And in many of the sites where (13) there is contamination that's elevated, they've (14) gone up to the next level for further (15) investigation, further evaluation.

(16) These sites here, you know, when (17) you look at the contaminant levels, they are in (18) the sub/part-per-million range.

(19) AUDIENCE MEMBER: My point still (20) stands that perhaps that's a pathway that you (21) should be looking at since I think it's more of (22) a dominant pathway than air volatilization. (23) MR. JENSEN: Would you restate that (24) as a comment when we get there? That really is (25) a comment.

#### Page 61

(1) Any other questions that we have? (2) None, okay.

(3) Let's go ahead and do the comment (4) period then. Same format as before, if you (5) please stand up and state your name so that the (6) court reporter can get your name and also speak (7) loudly. And after the comment period, these (8) folks will be around; for a specific question, (9) you can talk to them one on one.

(10) So is there anyone who would like (11) to comment? Yes, Mr. White.

(12) MR. WHITE: C.E. White. I can't (13) agree totally with my friend over here about the (14) house basement, what have you. Most of the (15) contamination – I'm even going as far as to say (16) all of the contamination that was found on the (17) ground or in that area, was not of a very deep (18) nature. It was probably above four or five (19) feet. Therefore, if you go down

into the (20) ground, you're not creating a dominant path, I (21) don't think.  
 (22) I think your more dominant path is (23) the way it's looked at because you're living in (24) Idaho, and if you live in Idaho, you've got the (25) wind. And this is going to be the greatest, I

Page 62

(1) think, path of contaminant would be from the (2) surface areas that would be stirred up by the (3) wind or whatever. I can't - I agree with most (4) of your other things, but I can't with that.

(5) MR. MEYER: I can talk to you about (6) that.

(7) MR. JENSEN: Just to keep this (8) process pure, are you done with your comment?

(9) MR. WHITE: Yeah.

(10) MR. JENSEN: If you want to comment (11) go ahead and give your name.

(12) MR. NOVAK: My name is Steve Novak. (13) I feel that the indoor pathway should be (14) addressed as well as the outdoor pathway. For (15) several reasons. And I'll address Mr. White's (16) comments. The fact that there is a lot of wind (17) in Idaho probably decreases the outdoor pathway (18) even more, because the concentration on the (19) outdoor pathway most likely would be lower due (20) to the fact that there is high wind, fresh air (21) will bring and move contaminants away.

(22) As far as the basement scenario, (23) contaminants not only go through the basement (24) they go through the walls and the sides of the (25) basement as well. So, usually, contamination

Page 63

(1) anywhere from one to ten feet was a concern when (2) you have a basement because it gets sucked into (3) the basement in the pressure through the outside (4) and the basement. There is a large concern of (5) radon. It's also a concern of volatiles: (6) benzene, toluene, ethylbenzene, especially (7) benzene which is more toxic than the other (8) contaminants.

(9) MR. JENSEN: Thank you. By the way (10) as you noticed. We don't respond during your (11) comments. We just let you speak your piece (12) without commenting on those.

(13) Any other comments tonight?  
 Okay.

(14) I'll go ahead and close this formal

(15) comment period then. Again, thank you very much (16) for coming and remember again, comment period (17) doesn't close until June 17, so you can submit (18) the things in writing anytime during that (19) period. And folks will stay around if you want (20) to talk to them one on one. Thanks, again, for (21) coming. Folks, if you want to give us an (22) evaluation on our meeting tonight, please do so.

(24) (The hearing concluded at 8:30 p.m.)

Page 64

(1) REPORTER'S CERTIFICATE (2) STATE OF IDAHO )

(3) ) ss. (4) County of Ada )

(5) I, NANCY SCHWARTZ, a Notary Public (6) in and for the State of Idaho, do hereby certify:

(7) That said hearing was taken down by (8) me in shorthand at the time and place therein (9) named and thereafter reduced to computer type, (10) and that the foregoing transcript contains a (11) true and correct record of the said hearing, all (12) done to the best of my skill and ability.

(13) I further certify that I have no (14) interest in the event of the action.

(15) WITNESS my hand and seal this 18th (16) day of June, 1994.

(17) *Nancy Schwartz*

(18) Nancy Schwartz, Notary

(19) Public in and for the

(20) State of Idaho (21) My commission expires: (22) November 5, 1996

# I N D E X

## PAGE

### TEST AREA NORTH GROUNDWATER CONTAMINATION, OPERABLE UNIT 1-07B

Introduction	3
Presentation	9
Question and Answer Session	31
Formal Public Comment	42

### PRESENTATION ON TRACK 1 INVESTIGATIONS AT TEST AREA NORTH, OPERABLE UNITS 1-01, 02, 06, 09

Introduction	45
Presentation	48
Question and Answer Session	54
Formal Public Comment	60

1 IDAHO FALLS, MONDAY, JUNE 6, 1994

2  
3 MR. JENSEN: Good evening, folks.  
4 I'd like to go ahead and get started. My name  
5 is Nolan Jensen, and I'll be the moderator  
6 tonight.

7 I won't be presenting a whole lot,  
8 but we would like to welcome you to our public  
9 meeting tonight on a couple projects at Test  
10 Area North. And also we're in the middle of a  
11 comment period on these projects, and we have  
12 received several written comments already, and  
13 so we would like to thank those of you who have  
14 submitted those if you're here.

15 I would just like to start with,  
16 perhaps, we do have an agenda, and we'll try to  
17 follow that, but we'll try to be fairly informal.  
18 And if you'll notice on the back, there is an  
19 evaluation form. As we go through this process,  
20 when we do public meetings and comment periods,  
21 et cetera, we try to improve those each time if  
22 we can, so if you have comments on things that  
23 would help you out better, let us know on the  
24 back of this form.

25 There are a couple of reasons for



1 our meetings, and I'll refer to this chart here.  
2 Basically there are two reasons. Number one, we  
3 would like to give you information, and second,  
4 we would like to hear your concerns and receive  
5 your comments. So, generally, it's a give and  
6 take situation here.

7 Tonight, as I mentioned, we're  
8 talking about two parts of this proposed plan.  
9 The first part is the Test Area North  
10 groundwater contamination. Then the second part  
11 will be several small scale investigations that  
12 we refer to as Track 1s, and I'll explain what  
13 that means a little bit later. I would like to  
14 give you a real brief update on the Environmental  
15 Restoration Program as a whole in general terms.

16 There are copies of these -- are  
17 they outside, Reuel? -- as well, and also down  
18 in the Mall. This is a Citizens' Guide that was  
19 developed a couple of months ago, and it's just  
20 a general overview of the entire program,  
21 cleanup program. So if you would like to get  
22 more general information, you're welcome to pick  
23 up a copy of this.

24 Just as far as some things that are  
25 going on. Actually we're real pleased with our

1 program. We signed the Federal Facility  
2 Agreement that controls our work about three  
3 years ago now, three and a half years ago with  
4 EPA and the State of Idaho. And in that time we  
5 have completed nine Records of Decision for  
6 cleanups. We have two more that are very close  
7 to Record of Decision, and then this one will be  
8 Number 12. So we're real pleased with that.

9 Also we have met 27 out of 27  
10 enforceable milestones under that agreement.  
11 So, again, we're pleased with that. Also, in  
12 some cases we are accelerating the schedules in  
13 that agreement, and we have three waste area  
14 group comprehensive investigations that are  
15 about a year or two years ahead of schedule.  
16 So, again, we're real happy with that.

17 As far as things that are going on  
18 as far as cleanups, we just finished up the TRA  
19 Warm Waste Pond, which was an interim action.  
20 We also completed an ordnance interim action,  
21 cleaning up some of the ordnance and bombs, I  
22 guess, for lack of a better term, that were  
23 placed on the site by the Department of Defense  
24 several years ago. That one was completed. And  
25 then the TAN injection well interim action that

1 we'll be talking about a little more tonight.

2 That is on-going right now.

3 So there are a lot of things going  
4 on. The next things that will be coming up  
5 are -- we have the CFA or Central Facilities  
6 Area Landfill investigation that will be coming  
7 out this fall or winter. We have another  
8 semiannual briefing, which is just a kind of a  
9 programmatic overview. That will be coming out  
10 this fall. So that just kind of gives you a  
11 general idea of where the program is. And I  
12 hope that helps a little bit.

13 We have a couple of subjects we're  
14 going to talk about tonight. And before I  
15 introduce the presenters, I'd like to cover a  
16 couple of things for you to just kind of  
17 hopefully give a little bit of a head start on  
18 where we're going. The INEL Federal Facility  
19 Agreement divided the INEL up into ten Waste  
20 Area Groups, and those essentially correspond to  
21 the different facilities out at the site.

22 Waste Area Group No. 1 is Test Area  
23 North, and that's what we're talking about  
24 tonight. Each of the Waste Area Groups is  
25 further divided down into Operable Units and

1       those Operable Units which are these numbers  
2       here are further divided into the several sites.  
3       Tonight we'll be talking about the Test Area  
4       North groundwater investigation. And also  
5       that's closely tied to the injection well  
6       interim action which is already ongoing.

7               We'll also be talking about several  
8       preliminary investigations and those are several  
9       smaller scale investigations at several sites in  
10      other Operable Units, and we'll be talking about  
11      31 of those sites tonight very briefly.

12             After we do all of these  
13      investigations, at the end for each Waste Area  
14      Group there is a comprehensive investigation  
15      that ties it altogether and we call that the  
16      Comprehensive Investigation. And that will be  
17      coming up for Test Area North and it will start  
18      in about a year from now. Those will be ongoing  
19      for each of those Waste Area Groups. So  
20      hopefully that will give you a little bit of a  
21      feel how this fits together.

22             One other thing that I would like  
23      to talk about briefly, and for those of you who  
24      were here last time, this will be a repeat. But  
25      whenever we talk about the cleanup program at

1 INEL, and any cleanup under Superfund for that  
2 matter, basically what we're doing is looking at  
3 releases of contaminants or hazardous substances  
4 and evaluating the risk that they pose, and so  
5 the whole investigation comes down to a risk  
6 assessment. And there are two parts of a risk  
7 assessment that we talk about, or two different  
8 aspects of risk.

9 One is carcinogenic risk, or cancer  
10 causing contaminants, and then noncarcinogenic  
11 risk, or the other types of health effects.  
12 Examples might be organ damage or birth defects.  
13 Those sorts of things. So those are the two  
14 general categories. And when we talk about risk  
15 under each of those categories, we express them  
16 in different ways.

17 For carcinogenic or cancer causing  
18 risk, EPA has established a risk range and as  
19 long as you're within that or below that risk  
20 range in this area, then the risk is deemed to  
21 be acceptable and cleanup is probably not  
22 required. If you're above that risk range, then  
23 it is most likely required. The risk range that  
24 was established is between one and 10,000 and  
25 one in 1,000,000 chances of someone contracting

1 cancer above the national average for anyone who  
2 might be exposed to that situation.

3 Under the noncarcinogenic risk  
4 there is a threshold established at one. And we  
5 talked about, rather than a risk potential, we  
6 talked about a hazard index which is a little  
7 bit different. A hazard index of one or less,  
8 basically says that we have a high degree of  
9 certainty that whatever health effect is  
10 associated with that contaminant will not happen  
11 even for a sensitive population. So below one,  
12 we're very certain that there is not going to be  
13 a health effect.

14 So, hopefully, that will just give  
15 you a little bit of a heads-up on what we're  
16 going to be talking about tonight and how these  
17 investigations wind up, and they will be  
18 referring to this chart throughout the evening  
19 as we talk about the different projects.

20 Before we begin the presentation, I  
21 just have a couple of things logistic-wise to  
22 cover. As I said, the meeting will be basically  
23 in two parts tonight, and so what we'll do is  
24 we'll have first the presentation on the Test  
25 Area North groundwater. That will last 15 or 20

1 minutes. Then we'll have a question and answer  
2 period that you can ask any question that you  
3 want. And then after the question and answer  
4 period, we'll have a formal comment period.

5 And during that time you can  
6 provide any comments orally that you would like.  
7 And we have a court reporter here who will take  
8 down those comments. And I'll kind of moderate  
9 and help things along as we go.

10 I believe that covers most of the  
11 things that I wanted to cover. The last thing  
12 that I want to do is introduce some of the  
13 people that we have here tonight. First of all,  
14 as we go into this investigation process, we do  
15 that hand in hand with EPA and the State of  
16 Idaho as signatories to our agreement.

17 And I would like to introduce  
18 Margie English tonight who is here from the  
19 Idaho Department of Health and Welfare. Let her  
20 give a statement and then Matt Wilkening from  
21 the Environmental Protection Agency, Region 10  
22 out of Seattle. I'll just give them a minute  
23 now.

24 MS. ENGLISH: I'm the Waste Area  
25 Group manager for the State working on the Test

1 Area North Project. And I also would like to  
2 introduce a couple other members of our state  
3 team that are here tonight. We have Jeff Fromm  
4 who is a toxicologist who has helped evaluate  
5 the sites from the risk aspect. We also have  
6 Gary Winter who is a hydrogeologist who has  
7 helped us evaluate the groundwater aspects of  
8 the sites. And on behalf of myself and my  
9 colleagues, I would like to welcome you here  
10 tonight. We're very glad that you came.

11 The State really encourages the  
12 public participation process. And I can see by  
13 looking around the room here that many of you  
14 who are here tonight were also here at our  
15 meetings about a month and a half ago for the  
16 NRF and RWMC projects, and we're very happy to  
17 see your continuing interest in the INEL.

18 The groundwater problem that you'll  
19 hear about tonight is a complex one and it's one  
20 that will not be easily solved. Over the past  
21 couple of years we have worked with the DOE and  
22 the EPA to evaluate this problem and to  
23 formulate viable remedial alternatives. We  
24 believe that the preferred alternative that  
25 you'll hear about tonight is the best approach



1 to continue to address this problem.

2 As Nolan said, the purpose of the  
3 meeting tonight is to give you the data and  
4 present to you the remedial alternatives, give  
5 you a chance to ask questions and also to find  
6 out what your opinions are on the remedial  
7 strategy that we'll be proposing.

8 The comments that you make, either  
9 written or verbal, will then be used to help  
10 formulate the final remedial decision for these  
11 sites which will eventually be formalized in a  
12 Record of Decision.

13 So with that, I'd like to, once  
14 again, thank you for coming and encourage you to  
15 ask any questions, and also, please don't  
16 hesitate to offer any comments on the sites  
17 tonight. Thank you.

18 MR. WILKENING: Matt Wilkening with  
19 the EPA, a brand new project manager on this  
20 site that I just took over from the previous  
21 project manager about a week ago. Again, we're  
22 glad that you're here and putting in comments on  
23 the site. We do appreciate any comments that  
24 are given by the public on our proposal. We've  
25 worked closely with the State and the Department

1 of Energy in drawing up this proposal and do  
2 feel that it gives the best of possible proposals  
3 that are out there that we've chosen for this.  
4 So we'll let you continue on with the meeting.

5 MR. JENSEN: Thank you. Before we  
6 get started, I would just like to mention there  
7 will be a presentation and then a question and  
8 answer period after. We would like to keep it  
9 fairly informal, so if you have a quick  
10 clarification question during the presentation  
11 go ahead and stop them and ask that. If they  
12 are more lengthy, you might want to wait until  
13 the end so we can get through it.

14 I will now introduce Dan Harelson  
15 who is the Department of Energy Project Manager  
16 for Waste Area Group 1. And then I'll let Dan  
17 introduce Greg.

18 MR. HARELSON: I'm Dan Harelson.  
19 I'm the Department of Energy WAG Manager for  
20 Waste Area Group 1, which is the Test Area  
21 North. As I'm sure most you have are aware, the  
22 Idaho National Engineering Laboratory is a  
23 Department of Energy site that's located about  
24 50 miles west of Idaho Falls. The entire site  
25 covers about 890 square miles. Most of the

1 facilities are located here in the southern  
2 portion of the site. The Test Area North, which  
3 is the subject of tonight's meeting, is about  
4 28 miles north of these other facilities.

5 The Test Area North was originally  
6 established to support research and development  
7 on nuclear powered aircraft. This was done in  
8 the 1950s and early 1960s. Following cancellation  
9 of that program in the early 1960s, there were  
10 several efforts involving research and development  
11 on nuclear energy. There are four facilities at  
12 the Test Area North.

13 The Technical Support Facility as  
14 the name implies is a support facility where  
15 there are maintenance shops, vehicle shops,  
16 offices. The guard gate is there. There is  
17 a fire station there. There is also the  
18 Three-mile Island core debris is being stored in  
19 a pool there and there is the Hot Shop, which is  
20 used to work on radioactive equipment.

21 Other facilities include the  
22 Initial Engine Test Facility, which was the test  
23 area for these nuclear powered aircraft. It is  
24 no longer in use. These are the same aircraft  
25 engines that are on display down at the

1 Experimental Breeder Reactor 1. The  
2 Loss-of-Fluid Test Facility and the Water  
3 Reactor Research Test Facility were both used in  
4 the research and development efforts on nuclear  
5 energy.

6 Currently, at the Loss-of-Fluid  
7 Test Facility, the Army has a manufacturing  
8 facility that manufactures advanced armor for  
9 the M1-A1 tank. There are a couple of small  
10 programs at the Water Reactor Research Test  
11 Facility. One of them evaluates supercritical  
12 water oxydation, which is a treatment process,  
13 and there are also efforts going on for  
14 developing a nuclear -- not nuclear, just  
15 explosive detection.

16 This is an aerial view of the  
17 Technical Support Facility from a little bit  
18 different angle. The groundwater contamination  
19 problem that we have at the Test Area North is  
20 related to an injection well which is located  
21 right about here (indicating). The injection  
22 well is a 12-inch diameter pipe that went  
23 directly to the aquifer, the Snake River Plain  
24 Aquifer. It was used from about 1955 through  
25 1972 to dispose of pretty much all of the waste

1 water that was generated at the Test Area North.  
2 That is everything from industrial and process  
3 waste water to sanitary sewage effluent after  
4 treatment.

5 The most wide-spread contaminant  
6 that we have at Test Area North is trichloreothene,  
7 it is also called trichloroethylene or TCE. It  
8 extends from the injection well about a mile and  
9 a half and the plume is a half mile wide.

10 This contamination was first  
11 discovered in 1987 during routine drinking water  
12 sampling. An air sparging system was installed  
13 in the drinking water supply to keep contaminant  
14 concentration below the federal drinking water  
15 standard.

16 In 1990 we performed sludge removal  
17 and removed about 45 cubic feet of sludge from  
18 the injection well itself. In early 1992 we  
19 came out with public meetings for an interim  
20 action and also to scope the Remedial  
21 Investigation/Feasibility Study that is the  
22 subject of tonight's meeting. The injection  
23 well interim action began operation in about  
24 mid-February of this year. We had originally  
25 planned to operate that action at 50 gallons a

1 minute, pumping from the well at 50 gallons a  
2 minute.

3 We have run into a number of  
4 surprises that has kept that pumping rate at a  
5 lower level, but we have been removing  
6 significant amounts of contamination. We have  
7 been operating in a batch mode. That is, we  
8 have been removing about 10,000 gallons at a  
9 time and treating that and discharging it. And  
10 to date we have removed about 3,000 pounds of  
11 organic contaminants.

12 I will introduce Greg Stormberg  
13 now. He is one of the principal investigators  
14 on the Remedial Investigation/Feasibility Study.  
15 He can provide some more information on what we  
16 did for the Remedial Investigation/Feasibility  
17 Study. The range of alternatives we evaluated.  
18 And then when he is finished, I will come back  
19 and try to describe the alternatives as  
20 presented in the proposed plan and explain why  
21 we prefer the alternative that we prefer. So  
22 with that I'll introduce Greg Stormberg.

23 MR. STORMBERG: Good evening. What  
24 I would like to do today is basically give you  
25 two short descriptions of two areas of

1 Remedial Investigation/Feasibility Study.

2 First, I'd like to present the  
3 findings of the Remedial Investigation, that's  
4 the characterization phase of the project, and  
5 then present the types and the range of  
6 technologies that we evaluated and how we  
7 refined that list of technologies to get to the  
8 preferred alternative.

9 Now, with respect to the Remedial  
10 Investigation, there are two basic objectives of  
11 the Remedial Investigation. One was to define  
12 the nature and the extent of contamination or  
13 the types of contamination that we have in the  
14 injection well and the groundwater and, also,  
15 what is its distribution? What are the  
16 distributions of those contaminants?

17 Then secondly, we'll take that  
18 information and evaluate the risks posed by  
19 those groundwater contaminants. In order to  
20 define the nature and extent of the contamination,  
21 a number of groundwater monitoring wells were  
22 drilled. They are symbolized by these black  
23 dots here on this board that you see. And we  
24 also conducted several rounds of groundwater  
25 sampling and analysis, and what we found from

1 the Remedial Investigation as well as from past  
2 investigations in 1989 and 1990, was that we  
3 have basically seven contaminants that we're  
4 concerned about.

5 These include both volatile  
6 organics and radionuclides. The volatile  
7 organics, as Dan has already mentioned, TCE is  
8 the most widely distributed, but it also  
9 includes dichloroethene or DCE and  
10 tetrachloroethene or PCE.

11 The radionuclides that we detected  
12 included cesium-137, tritium, strontium-90 and  
13 uranium-234. As Dan also indicated, we're  
14 seeing some surprises as a result of the interim  
15 action, things that we weren't aware of  
16 initially. We've detected americium-241 during  
17 one of the samplings into the injection well.

18 And we've also seen another  
19 volatile organic, dichloropropane. So  
20 basically, we have a fairly dynamic system. We  
21 want to make sure that we keep an eye on these  
22 as we continue the interim action and our  
23 remedial action for this Operable Unit.

24 But what we can say about the  
25 horizontal or lateral distribution of these



1 contaminants is, as Dan indicated, TCE  
2 represents the widest distributor, widest  
3 migrated contaminant in the groundwater. It  
4 extends from essentially the Technical Support  
5 Facility a mile and a half down the groundwater  
6 gradient to the Water Reactor Research Test  
7 Facility and the plume is about a half mile  
8 wide.

9 All of the other contaminants that  
10 we found in the groundwater are less widely  
11 distributed and fit within this plume. In fact,  
12 I think the next most widely distributed plume  
13 is only about a half mile from the injection  
14 well. So we'll use the TCE plume as our  
15 baseline contaminant plume.

16 A second very important point that  
17 we needed to address with respect to TAN was:  
18 What is the vertical extent of the contamination?  
19 In the subsurface TAN, we're basically dealing  
20 with basalt flows with sediments that have been  
21 laid down in between those basalt flows. We  
22 call those sedimentary interbeds. And there  
23 were two points that we wanted to look at.

24 We wanted to look at how continuous  
25 this interbed is and what is it composed of, or

1        what does it consist of and how thick is the  
2        contaminant plume? The effective aquifer  
3        extends from about 200 feet below land surface  
4        to well over 800 feet. So we have a 600 or 700  
5        foot effective aquifer at TAN, and we needed to  
6        define the extent of contamination in that area.

7                What we found as a result of the RI  
8        was that this interbed here is composed of silt  
9        and clays and some fine sand. It ranges in  
10       thickness from about 15 to about 40 feet thick  
11       and it is fairly continuous, at least as far as  
12       we know it today.

13               We also found from groundwater  
14       quality data that contaminants in the Snake  
15       River Plain Aquifer above this interbed exceed  
16       drinking water standards. The groundwater below  
17       this interbed, there are no contaminants that  
18       exceed drinking water standards. These two  
19       features are fairly important with respect to  
20       the remediation of the TAN area for the reason  
21       that the interbed acts as an barrier to the  
22       migration of the contaminants from the upper  
23       part of the aquifer to the lower part of the  
24       aquifer.

25               And secondly, with respect to

1 remediation, we're dealing with a much smaller  
2 volume or potentially smaller volume of water  
3 than if contamination had been distributed  
4 across the entire effective thickness of this  
5 aquifer. So those are two important features  
6 that I want to point out. One other point I  
7 need to bring out here is that with respect to  
8 the injection well itself, disposal of waste to  
9 the injection well ceased well over 20 years ago  
10 and yet we still find the highest concentration  
11 of contaminants in the immediate vicinity of  
12 this well.

13 This indicates at least one very  
14 important thing and that there may be additional  
15 or continued residual undissolved contaminants  
16 in the vicinity of that injection well that are  
17 continuing to provide input to the basalt flow  
18 that we see further down gradient, so that's  
19 important.

20 Now with that information in hand,  
21 the second step of the RI was to evaluate the  
22 risks posed by those contaminants to human  
23 health and the environment. And we looked at  
24 three basically different scenarios. The first  
25 was a current industrial use scenario where we

1 considered workers and visitors using water from  
2 the production well. This is from about present  
3 to the year 2040.

4 And we looked at two future  
5 residential use scenarios. One where water was  
6 being used from the general groundwater plume,  
7 and then the second future use scenario is water  
8 being taken directly from the injection well  
9 itself. For all three of these scenarios, we  
10 evaluated several exposure pathways and how  
11 those contaminants are taken into the body.

12 The first was the inhalation of the  
13 volatiles from volatile organics. And secondly,  
14 we looked at the ingestion of that water, the  
15 drinking of that groundwater. For the future  
16 residents we also take a look at ingesting food  
17 crops that had been irrigated with the  
18 contaminated water.

19 What we found when we calculated  
20 the various risks from those three scenarios was  
21 that under the current industrial use scenario  
22 where we're only using water from the production  
23 wells that are currently operational, the total  
24 cancer risk associated with that was one  
25 additional incidence of cancer per one million

1 individuals. So we're below the acceptable  
2 range as defined by EPA.

3 That hazard index that was  
4 calculated under that scenario was about .8.  
5 That indicates that sensitive populations are  
6 probably not going to be adversely affected by  
7 exposure to those contaminants under the  
8 scenario. For the future residential use  
9 scenario where water can be pulled from anywhere  
10 within the plume except the injection well, what  
11 we found was that the total cancer risk was one  
12 additional incident of cancer per 100,000  
13 individuals. That's within the acceptable risk  
14 ranges by EPA. And that the calculated hazard  
15 index was right about one, again, indicating  
16 that adverse effects are probably unlikely to a  
17 sensitive population.

18 Now on the other hand, what we  
19 found for the future resident in the use of the  
20 water directly from the injection well, that  
21 means if they can put a pump down there in the  
22 future and pull the water and utilize it, we  
23 found that the total cancer risk range from that  
24 -- or the total cancer risk was two additional  
25 incidence of cancer per 1,000 people. So as you

1 can see -- I'll use this little arrow here to  
2 indicate it -- we're above the acceptable range  
3 defined by the EPA. So we have unacceptable  
4 risk from the cancer causing constituents.

5 With respect to the hazard index  
6 and the noncarcinogens what we found was a  
7 hazard index of about 23. That's a fairly high  
8 hazard index and it's probable it would have  
9 some adverse health effects associated with  
10 consumption or use of that water.

11 Knowing that we had unacceptable  
12 risk from the use of the water from the  
13 injection well, we went ahead and performed a  
14 Feasibility Study. And there are three basic  
15 stages to the Feasibility Study. First is to  
16 identify the range of viable alternatives or  
17 potentially viable alternatives for that site.  
18 In this case we're dealing with groundwater.

19 The second stage is to then screen  
20 that full universe or range of alternatives  
21 against the criteria that has been established  
22 by the EPA. The reason that we do that is so we  
23 can refine that list of technologies to get it  
24 down to a handful of remedial alternatives that  
25 are potentially applicable to the site in

1 question.

2           What I would like to do is just  
3 kind of run through examples of the range of  
4 alternatives that we identified and the  
5 screening criteria that we put them against.  
6 There are six general categories that we call  
7 general response actions. And with the  
8 exception of the No Action alternative, the  
9 other five have a number of technologies that  
10 are potentially applicable.

11           For example, institutional controls  
12 might include an alternative water supply,  
13 fencing, deed restrictions, things of that  
14 nature. Containment technologies would include  
15 things such as physical barriers, route  
16 pertinence or hydraulic containment where we  
17 siphon the water to keep it in place and prevent  
18 future and further migration. The collection  
19 and removal of contaminants, probably the most  
20 widely used in the groundwater contamination  
21 problems, includes the use of extraction wells  
22 and injection wells where we pull water --  
23 contaminated water out and treat it and then we  
24 reinject it back into the aquifer.

25           Above-ground treatment technologies.

1       These are really the process options.   How we  
2       treat the water that we pull out of the aquifer.  
3       These might include things such as air stripping,  
4       carbon adsorption, UV oxidation, ion exchange,  
5       things of that nature.   The treatment in place  
6       technologies are generally associated with  
7       remediation technologies in place or in situ  
8       vitrification.

9               Once we've identified that whole  
10       list of technology you can tell that we can't do  
11       a very detailed analysis on that whole range,  
12       there are just too many alternatives.   So we  
13       apply the screening criteria as set down by the  
14       EPA and these include things such as the  
15       protection of human health.   Does that  
16       technology protect human health and the  
17       environment?   Does it comply with the federal  
18       and state laws?   Is it effective both in the  
19       short term and the long term?   How easy is it to  
20       implement?   What is its costs?   Things of that  
21       nature.

22               Then we have a couple of other  
23       criteria, the public and State acceptance, and  
24       that is one of the reasons that we're here  
25       tonight.



1                   When we applied the screening  
2                   criteria to the list of potential groundwater  
3                   technologies we basically came up with four that  
4                   we considered viable for the TAN groundwater  
5                   contamination site, and Dan will talk about the  
6                   specifics of those alternatives as well as the  
7                   preferred alternative.

8                   MR. HARELSON:   The proposed plan  
9                   presents four alternatives for remediation  
10                  action at the radioactive Test Area North.   The  
11                  first alternative is No Action and the name  
12                  implies or suggests we wouldn't do anything to  
13                  remove contaminants or try to contain the spread  
14                  of contamination.   As with all of the  
15                  alternatives, we would monitor the way  
16                  contamination changes over time.

17                 The second alternative that we  
18                 looked at was Limited Action using institutional  
19                 controls.   Institutional controls limit access  
20                 to the water.   They would prevent people from  
21                 being exposed to the contaminated water.   This  
22                 could be done through either physical means such  
23                 as fences and signs.

24                 It could be done by putting a  
25                 supply well outside away from the contamination

1 plume, or it could be done through administrative  
2 mechanisms like deed restrictions which would  
3 say, if you're going to buy this land, you can't  
4 put a well in the contaminated plume. Its costs  
5 are higher, there is a monitoring component and  
6 then there are costs associated with those  
7 controlling it.

8 Alternatives 3 and 4 are very  
9 similar. Alternative 3, which is our preferred  
10 alternative includes three main components. The  
11 first piece of it is continuation of this  
12 interim action that we've spoken about. The  
13 second piece is using an enhanced extraction  
14 technology to try to remove that undissolved  
15 secondary source material that we believe is in  
16 the vicinity of the injection well. And the  
17 third piece involves trying to remediate a  
18 portion of the dissolved contaminant plume.

19 We would continue the interim  
20 action so that we would continue extracting  
21 contamination from the groundwater while we are  
22 designing and constructing this enhanced  
23 remediation facility. Continuing the interim  
24 action would also provide some measure of  
25 hydraulic containment. It would pull the

1 contaminants back toward the well to some degree  
2 and keep them from spreading as quickly.

3 The enhanced removal technologies  
4 that we are considering involve some steam  
5 enhanced recovery contaminant or surfactant  
6 enhanced recovery of contaminants. Surfactant  
7 enhanced recovery involves, basically, the  
8 injection of soapy water into the aquifer. The  
9 soap helps to solubilize contamination so that  
10 it moves towards the extraction well. It can  
11 then be extracted, the contaminants removed and  
12 then treated water would be reinjected at  
13 federal drinking water standards or below  
14 federal drinking water standards.

15 The third piece of Alternative 3  
16 involves treating extracted, contaminated  
17 groundwater and treating it from a fairly  
18 small area of the dissolved contamination  
19 plume. The wider area of contamination  
20 outside of the small area would then be  
21 addressed under both the WAG-wide RI/FS and  
22 the INEL-wide RI/FS.

23 The third piece would attempt to  
24 remove all contaminated groundwater that is  
25 contaminated above 5,000 parts per billion

1 trichloroethane and reduce that contaminated  
2 level to five parts per billion, which is the  
3 federal drinking water standard.

4 Alternative 4 is identical to  
5 Alternative 3 except we would try to treat a  
6 much larger portion of this contaminant plume.  
7 At least in theory, that approach would restore  
8 the aquifer to meet federal drinking water  
9 standards by 2040. And the reason 2040 was  
10 picked was that's a reasonable estimate of the  
11 time when the site will become available for  
12 other non-DOE uses.

13 Alternative 3 is our preferred  
14 alternative even though it does not address the  
15 whole contaminant plume. It focuses on the  
16 source of contamination and in order to clean up  
17 the wider dissolved area of contamination, it's  
18 necessary, first, to deal with the source. By  
19 focusing on the source, we believe that we're  
20 directing our resources at the worst part of the  
21 problem.

22 By deferring the cleanup of the  
23 this wider area of contamination to the WAG-wide  
24 and the INEL-wide RI/FS, we're building  
25 flexibility into the process so that we can

1 adapt our cleanup strategy as we learn more  
2 about the problem, and in the long run save  
3 money in the overall cleanup action.

4 So with that I'll turn it back to  
5 Nolan.

6 MR. JENSEN: Thank you. We'll go  
7 ahead and start our question and answer period.  
8 You've been fairly quiet, so don't be shy. I  
9 will try to keep it very informal. We do have a  
10 court reporter here keeping minutes, so if you  
11 wish to speak, speak right up so she can hear  
12 you and we'll go ahead for 15 or 20 minutes and  
13 then we'll conclude that and go into the formal  
14 comment period.

15 So, please, just questions now and  
16 if you have comments, save them until when we  
17 actually do the comment period so that we're  
18 sure that we get those down accurately. So, any  
19 questions?

20 AUDIENCE MEMBER: This plume that  
21 is stationery, is it kind of moving out slowly  
22 to involve more and more of the aquifer?

23 MR. HARELSON: It is moving, as you  
24 said, slowly. The water table at Test Area  
25 North is fairly -- Greg probably knows the

1 average velocity better.

2 AUDIENCE MEMBER: Did you calculate  
3 how fast it might have -- in other words, you're  
4 calculating according to time; right?

5 MR. STORMBERG: Time and  
6 distribution of the contaminants, yes.

7 AUDIENCE MEMBER: If you deal with  
8 the wells first, by the time you can get to  
9 anything that you find about the plume --

10 MR. STORMBERG: The groundwater in  
11 the vicinity of TAN, and if you look at  
12 groundwater flow, let's equate that to the worst  
13 or most widely distributed contaminant, which is  
14 TCE, we're going to assume it flows with the  
15 groundwater with no retardation at about .13  
16 meters per day, or about three feet per day.

17 AUDIENCE MEMBER: How soon will it  
18 get to Idaho Falls?

19 MR. STORMBERG: Well, let's put it  
20 this way, we didn't calculate that.

21 AUDIENCE MEMBER: Why not? We live  
22 here.

23 MR. STORMBERG: I know you do. In  
24 the 20 years since operations have ceased  
25 disposing to the well, it's only a mile and a

1 half.

2 AUDIENCE MEMBER: In 20 years?

3 MR. STORMBERG: Yes.

4 MR. HARELSON: Didn't we do some  
5 modeling out?

6 MR. STORMBERG: We did do modeling  
7 out to the year 2094, so essentially 100 years,  
8 and if I remember the distance is accurate,  
9 we're only talking about an additional migration  
10 of 10 miles, 10, 15 miles.

11 AUDIENCE MEMBER: Technologies will  
12 be more sophisticated as we go on.

13 MR. STORMBERG: But it's not moving  
14 very fast.

15 MR. HARELSON: Well, in these RI/FS  
16 that I mentioned at the end, one of them starts  
17 in about a year, the other one starts in 1999,  
18 is that right? So, we're talking on the order  
19 of five years rather than 100 years.

20 AUDIENCE MEMBER: One more thing,  
21 when you pulled out the stuff from the well and  
22 you treated it or you removed it or you treated  
23 it, you removed 3,000 pounds of sludge, you say?

24 MR. HARELSON: We've removed about  
25 3,000 pounds of contamination since this interim

1       action started. The treatment process, there is  
2       a pretreatment unit that uses ozone and that has  
3       destroyed a significant fraction of that  
4       contamination. Some of it has also been  
5       captured on a carbon adsorption carbon unit that  
6       is being recycled off site.

7               AUDIENCE MEMBER: I just kind of  
8       wondered if you ever had to take what you found  
9       and stored it somewhere?

10              MR. HARELSON: Well, the organic  
11       contaminants -- a significant portion was  
12       destroyed by this treatment process, this  
13       pretreatment process. The portion that was not  
14       will be recycled at an EPA permitted off-site  
15       facility.

16              AUDIENCE MEMBER: Here in Idaho?

17              MR. HARELSON: Not certain, but  
18       possibly.

19              AUDIENCE MEMBER: Where is it now?

20              MR. HARELSON: It's in storage at  
21       Test Area North.

22              AUDIENCE MEMBER: Is any of the  
23       water within this plume used on site right now  
24       or were those examples purely hypothetical?

25              MR. HARELSON: Yes, it is used on



1 the site. The two production wells that supply  
2 drinking water to the Test Area North are  
3 located up here right on the edge of the five  
4 parts per billion plume. That water is treated  
5 with this air sparging system. The only  
6 contaminants that we're seeing in those  
7 production wells are the organic contaminants,  
8 we're not seeing any of the radionuclides.

9 AUDIENCE MEMBER: The values that  
10 you put up on the chart as far as risk levels,  
11 were those average values, 95 percent values?

12 MR. HARELSON: For drinking from  
13 the plume, it is an average value, in aerially  
14 weighted average concentration for the  
15 approximate plume, so the concentration at any  
16 given point in the plume was represented by an  
17 aerially weighted average and that aerial  
18 weighting was based on a computer model that was  
19 performed.

20 AUDIENCE MEMBER: So did you do an  
21 uncertainty analysis?

22 MR. STORMBERG: Yes, we did. I  
23 can't give you the specifics. We did bring a  
24 copy of the Remedial Investigation report and  
25 we'll go into detail on that on the baseline

1 risk.

2 AUDIENCE MEMBER: Do you know what  
3 some of the bounds were on the lower?

4 MR. STORMBERG: We can look it up  
5 and find that answer for you.

6 AUDIENCE MEMBER: The residential  
7 scenario, was that an indoor and an outdoor  
8 scenario for houses? I thought I saw houses.

9 MR. HARELSON: I think that was  
10 primarily for illustration. It looked at  
11 inhalation and ingestion of the water.  
12 Inhalation of vapors off the water, ingestion of  
13 water and then ingestion of crops irrigated by  
14 the water.

15 AUDIENCE MEMBER: Inhalation  
16 indoors?

17 MR. HARELSON: By showering, I  
18 think, was the primary mechanism.

19 AUDIENCE MEMBER: Did you have  
20 basement scenarios in those houses?

21 MR. STORMBERG: No, we didn't have  
22 basement scenarios since we're dealing with an  
23 aquifer and we're pulling the contaminants up.  
24 We have a 200 foot vadose zone where we haven't  
25 detected; basement was not a scenario option or

1 a viable scenario at this time.

2 AUDIENCE MEMBER: You haven't  
3 detected any plumes outside?

4 MR. STORMBERG: No, we didn't.

5 AUDIENCE MEMBER: I would like a  
6 clarification on your question you were asking  
7 about the lower bound, what do you mean?

8 MR. MEYER: Usually when you do a  
9 risk analysis -- just giving an average value  
10 doesn't tell you too much about it. You really  
11 need to know the upper and lower bounds of the  
12 distribution of the risk value. Otherwise, you  
13 don't know how uncertain it is. The reason I  
14 talked about the basement is a lot of times if  
15 you have a basement, we consider basements in  
16 houses due to the pressure differential, it  
17 takes the plume and sucks into the basement  
18 gathering a higher concentration in basements.

19 MR. STORMBERG: With respect to  
20 that, as I mentioned, that vadose zone is so  
21 thick that it's basalts and some sediments and  
22 we haven't seen any vapor contaminants in the  
23 vadose zone.

24 AUDIENCE MEMBER: When you were  
25 doing your population, you said sensitive

1 population, what particular sensitive population  
2 were you looking at? Were you looking at little  
3 children? Were you looking at adults?

4 MR. JENSEN: You're talking about  
5 just hazard index? This statement on here?

6 AUDIENCE MEMBER: Right.

7 MR. JENSEN: For sensitive  
8 population.

9 MR. STORMBERG: Well, the sensitive  
10 population in the general term equates to the  
11 young infants and children and the older people  
12 who may be more susceptible to coming down to  
13 organ damage as a typical default when you look  
14 at that.

15 MR. JENSEN: Those by the way,  
16 those are established not as part of the risk  
17 assessment, but those are established by EPA and  
18 other guidance those indices for those  
19 contaminants.

20 MR. MEYER: Yes, I think, maybe, I  
21 can address the question about bounding the  
22 risk. I think -- were you asking about the  
23 probability of distribution of risk? Because  
24 basically all Superfund risk assessment involves  
25 using an average value for contamination, then

1 using fixed percentiles for all of the other  
2 exposure parameters and the uncertainty  
3 analysis. The way it's usually done as more of  
4 a qualitative analysis. Are you talking about  
5 more of a probabilistic analysis like a Monte  
6 Carlo?

7 AUDIENCE MEMBER: Either one. In  
8 other words, if you were going to use upper  
9 bound values, even if they were to point the  
10 estimates to provide a table, it would be  
11 helpful to me.

12 AUDIENCE MEMBER: Is there any sort  
13 of cost risk chart that we could see?

14 MR. HARELSON: Not so much cost  
15 versus risk. I believe, this alternative, if I  
16 remember right, the risk in the plume, the  
17 average plume, with the source controlled, is  
18 about one times ten to one minus five. By  
19 spending the \$21- to \$26 million, we would  
20 reduce that risk to about four times ten to the  
21 minus six. By spending 58 to 96, we would get  
22 down to two times ten to the minus six. That's  
23 a rough number from calculations that I did.  
24 So we're getting a great deal of risk reduction  
25 for this amount of money and it declines the

1 amount of risk reduction that you get for  
2 spending more on that.

3 MR. STORMBERG: Reuel, do we have a  
4 copy of the Feasibility Study here?

5 MR. SMITH: I don't believe so.

6 MR. STORMBERG: I can get one at  
7 the break. There is one in my car, I think.  
8 It's a time residual risk plot with the various  
9 scenarios, so I'll go get that and make it  
10 available.

11 MR. JENSEN: Why don't we make it  
12 available at the break, if anyone wants to see  
13 it.

14 AUDIENCE MEMBER: I just have one  
15 more question. Did you consider any sort of  
16 dermal absorption in the shower scenario as  
17 exposure?

18 MR. STORMBERG: No. Again, we just  
19 didn't feel that the contact time would be  
20 significant enough to warrant that as an  
21 advisable exposure pathway.

22 AUDIENCE MEMBER: Did you do any  
23 sort of testing?

24 MR. STORMBERG: No.

25 MR. JENSEN: Any other questions?

1 Even if you don't have questions right now, Dan  
2 and Greg will be around at the end, so if you  
3 want to stick around and talk one on one, they  
4 will be available.

5 The way our agenda is set up, we'll  
6 go directly into the comment period now, but we  
7 could take a very short break if anybody wants  
8 to before that. Does anybody need to take a  
9 break? Okay. We'll go ahead and start right  
10 into that. One more chance on the questions?  
11 Any more questions?

12 Before we start the comment period,  
13 I just want to mention a couple of things. That  
14 is, we're in the middle of the comment period  
15 which lasts until June 17th. If you don't want  
16 to give an oral comment tonight here with the  
17 court reporter, at the back of the proposed plan  
18 there is a comment sheet. It is postage paid  
19 preaddressed, so you just need to fill it out  
20 and send it in and we'll get it. You can do  
21 that anytime until June 17th and we welcome  
22 those.

23 Since this is a more formal part of  
24 the meeting and it is a comment period, I would  
25 like to ask you to please stand up and state

1        your name if you have a comment. State your  
2        name and then give your comment.

3                Reuel, did we have anyone sign in  
4        as a commenter?

5                MR. SMITH: I'll go look.

6                MR. JENSEN: We'll have those who  
7        actually signed up first, and then we'll just  
8        open it up for general comments. So no one  
9        signed up to give a comment, so is there any one  
10       who would like to stand and give a comment at  
11       this time?

12               MR. WHITE: C.E. White. I've read  
13       this thing pretty thoroughly and we've had some  
14       discussion one to one, too, here tonight and  
15       previously. What you accomplish with remedial  
16       alternative No. 3 would be the preferred one.  
17       It certainly appears from anything that you can  
18       come up with from the study, it would alleviate  
19       any major problems. I can't see where there  
20       would be worth spending all that additional  
21       money to do four when you don't really  
22       accomplish that much more out of it.

23               Your relationship between what's  
24       accomplished against what is spent. The closer  
25       you get to four from three, the more the ratio



1 changes and you get less for your money. Not  
2 that money should be the total alternative or  
3 total basis of the alternative, but with what  
4 you get out of three, certainly seems to solve  
5 the problem, unless, in the future it's  
6 discovered that three is not doing what we  
7 thought it was going to do. Let's put it that  
8 way.

9 One of your surprises was finding  
10 some things which you didn't know were there.  
11 Well, who knows, maybe in the future, although  
12 you'll take care of those now, who knows in the  
13 future if something else comes up in their  
14 little head, and you have to reassess something.  
15 But, to me, the Remedial No. 3 would be the way  
16 to go, and it would be, I think, enough  
17 protection to satisfy most anybody that I've  
18 ever talked to about it.

19 MR. JENSEN: All the comments that  
20 are submitted tonight, there will be a formal  
21 response to those, and the next step in the  
22 process is to come out with a Record of  
23 Decision, and that Record of Decision will  
24 include a response in the summary with written  
25 responses to your comments.

1                   MR. WHITE: I would like to add  
2 one more item to what I just said. We were  
3 discussing the injection of other substances to  
4 try to, let's say, loosen up some of the things  
5 that are in that plume, the two were the steam  
6 and the other so-called soapy alternative.

7                   Certainly the steam, if it works,  
8 the way it works in the oil the fields, would be  
9 a much cleaner type operation to go into rather  
10 than injecting some other item into the ground  
11 and then have to pull that out, soap or whatever  
12 that they drove into this thing, so I'm assuming  
13 that in looking at these that the steam would be  
14 looked at first, am I right?

15                  MR. HARELSON: Right now they are  
16 being treated equally.

17                  MR. WHITE: Equally?

18                  MR. NOVAK: My name is Steve Novak.  
19 And, I guess, I agree with Mr. White that the  
20 Alternative No. 3 is probably the best for your  
21 cost ratio, and groundwater is very difficult to  
22 clean up. It's a difficult problem and cleaning  
23 up the contaminated sediments and residuals, I  
24 think, is your best alternative as opposed to  
25 going after the entire plume.

1 MR. JENSEN: Okay. Thank you.

2 Anyone else? Again, even if you don't comment  
3 now, remember, can you submit it in writing, so  
4 it's not your last chance. Going once, thank  
5 you. That will conclude this portion of our  
6 meeting. We'll take about a ten-minute break  
7 and then we'll come back.

8 The second portion of the meeting  
9 is much shorter, however, we'll talk about the  
10 preliminary studies. So we'll go ahead and take  
11 a ten-minute break and see you in about ten  
12 minutes.

13 (A recess was taken.)

14 MR. JENSEN: If we can get you to  
15 take a seat, please, we'll go ahead and get  
16 started.

17 The second part of this presentation  
18 will go pretty quick tonight. I'll give you a  
19 brief introduction to what the second part of  
20 the meeting is about. When we signed the  
21 Federal Facility Agreement, which controls our  
22 whole cleanup program, there were about 400  
23 sites at the INEL that were identified as  
24 potentially being contaminated and needing some  
25 type of investigation.

1                   Out of those 400 sites, some of  
2                   them like the TAN groundwater that we talked  
3                   about earlier, those were obviously problems and  
4                   we needed to deal with those. But in a lot of  
5                   cases a lot of those sites were identified based  
6                   on interviews with people. There might have  
7                   been a spill out there. We know there is an  
8                   underground tank that is going to be pulled, so  
9                   a lot of the sites we had little information  
10                  about and were much smaller scale problems.

11                 But we still needed to evaluate  
12                 them. So under our agreement we set up a  
13                 preliminary investigation process. And there  
14                 are two parts of that, and we refer to those  
15                 limited field investigations as Track 1s and  
16                 Track 2s. And basically what those are: A  
17                 Track 1 is just a very straight forward  
18                 evaluation based on, mostly, on existing data.  
19                 Once in a while we'll take a quick sample or  
20                 two, but in general we base that on existing  
21                 data and see if we can come up with a decision  
22                 based on that.

23                 The other is a Track 2, which is a  
24                 little bit more extensive, where we feel like we  
25                 actually need to go out and collect a little bit

1 of field data to do an evaluation. So in both  
2 cases, out of those 400 sites, the majority of  
3 those go through this process first. And as we  
4 complete the Track 1 and Track 2 limited  
5 investigations, there are a number of outcomes.

6 First of all, if we find that the  
7 contamination is not existent or very low and  
8 the risk is low, then we observe where we can  
9 come to a determination that we don't think  
10 action is necessary. Or if it's something that  
11 a cleanup is very obvious, like an oil spill or  
12 something like that, we might do a removal  
13 action and go out and clean up the dirt or  
14 whatever.

15 However, in some cases we find that  
16 we need to do more investigation, and in that  
17 case, we might bump that site into one of our  
18 Remedial Investigation/Feasibility Studies, like  
19 was done on the TAN groundwater.

20 Tonight the investigations are all  
21 at the Track 1 site. The ones that we're going  
22 to be talking about were those that fell into  
23 this category. So there has already been a  
24 brief evaluation done and a preliminary  
25 determination that no action is necessary. And

1       so tonight we're just formalizing that and  
2       putting it out for public comment.

3               I will now introduce T.J. Meyer who  
4       works for EG&G, and he will be the presenter on  
5       these sites. So, T.J., take it away.

6               MR. MEYER: Good evening, my name  
7       is T.J. Meyer. I'm project manager for EG&G for  
8       Test Area North, and I will be discussing 31  
9       Track 1 investigations that were completed this  
10      year and presenting the agency's recommendations  
11      for those 31 sites.

12              As Nolan said, Track 1 and Track 2  
13      processes use preexisting information or  
14      information that can be obtained from the  
15      facility through process knowledge or historical  
16      records to try to evaluate the site to determine  
17      what the next recommendation or what the next  
18      decision should be for each of the sites.

19              There are a total of 40 Track 1  
20      sites at TAN. We'll be talking about 31 of  
21      them tonight. The other nine, we will not be  
22      discussing. The preliminary Track 1 investigation  
23      determined that there needs to be some more  
24      investigation done at those particular sites.

25              The 31 sites tonight consist of 18

1       either former or currently inactive underground  
2       storage tanks. Most of these tanks have been  
3       excavated and removed. The site has been  
4       reestablished. I think there are three to four  
5       sites that tanks were stored remaining in the  
6       ground but they've been drained and any of the  
7       product in them now, they basically have been  
8       stabilized.

9               Ten of the 31 sites consist of  
10       potentially contaminated soil sites. And I say  
11       the word "potentially" because in some cases the  
12       sites were just large areas where equipment was  
13       stored and it was unknown what the condition of  
14       the site was. Some of them just looked like  
15       disturbed sites and other cases, some of the  
16       debris had been removed. That's why we use the  
17       word "potentially." In three of the sites are  
18       waste water disposal sites.

19              Each of these sites has had a  
20       Track 1 investigation done. And the Track 1  
21       process has been evolving over the past three  
22       years and it consists of putting together a  
23       document similar to this one here, and I have  
24       all 31 that we're going to be talking about  
25       tonight, so if anybody has a question about any

1 of the ones that you read about in this plan, we  
2 can actually pull out the Track 1 document and I  
3 can show you and then you can go to the public  
4 record and research it further if you would  
5 like.

6 The document basically has a series  
7 of questions and tables in it where we go  
8 through and we evaluate the site and we try to  
9 compile all the historical knowledge, process  
10 information, historical site use, photographs,  
11 employee interviews to try and understand how  
12 the site was used, what the site condition was,  
13 what would have led to contamination at the site  
14 to try to evaluate it historically, and in some  
15 cases, or in all cases, we conducted a site  
16 visit to evaluate the site, and in many cases we  
17 actually collected some sampling to determine  
18 what the current site condition was.

19 With all that information, both the  
20 historical and the current information about the  
21 site that was compiled into a qualitative risk  
22 assessment, then the whole package was presented  
23 to the agencies for their review.

24 The earlier discussion today talked  
25 about the Test Area North facility. I'm going



1 to go over some of those major facilities again.  
2 There is the LOFT, or the Loss-of-Fluid Test  
3 Facility. The Initial Engine Test Facility,  
4 which is located up here (indicating). The Test  
5 Support Facility, which is the main facility at  
6 TAN. And then the Water Reactor Research Test  
7 Facility or WRRTF.

8 Shown here in -- well, it's a  
9 magenta color or purpley color -- are  
10 underground storage tanks. Each of the  
11 facilities have underground storage tanks. The  
12 tanks were there for either vehicle refueling or  
13 for emergency generator use or for boiler  
14 operations for heating the building. Shown in  
15 green are the soil contamination sites. Only  
16 the Loss-of-Fluid Test Facility and the  
17 Technical Support Facility have these potential  
18 sites present.

19 All of the waste water sites are  
20 located at the Water Reactor Research Test  
21 Facility. And all the water that was discharged  
22 in these ponds was the processed water or  
23 sanitary water from the facilities.

24 Of the 40 Track 1 sites at TAN, 23  
25 sites were termed to have no contamination

1 present at them. Nine of the sites, as I  
2 mentioned earlier, require additional  
3 investigation and won't be discussed tonight.  
4 At eight of the sites, contamination was found  
5 and we conducted a risk assessment on them and  
6 the risk assessment showed that there was an  
7 acceptable level of risk.

8 The types of sites shown here are  
9 where contamination was found and each of the  
10 facilities had a site where some contamination  
11 was found. The types of sites can basically be  
12 grouped into two types, underground storage tank  
13 sites were sites where underground storage tank  
14 material was used or where underground storage  
15 tank sites had leaks, and then there was one  
16 site where one spill of radioactive liquid  
17 occurred.

18 The types of contaminants that were  
19 found were your typical petroleum hydrocarbic  
20 contaminants: benzene, toluene, ethylbenzene  
21 and xylene. And the only radionuclide detected  
22 at the one contaminated soil site was cesium-137.

23 The risk assessment done on this  
24 list of contaminants showed that there were two  
25 contaminants that had potential of causing

1 cancer, benzene and cesium-137. The risk  
2 assessment when it was completed for both of  
3 these sites showed that the potential risk at  
4 both of the sites was below the acceptable risk  
5 range, which meant there was very low likelihood  
6 for potential risk there from these  
7 contaminants.

8 The risk assessment for the  
9 noncarcinogenic contaminants, the ethylbenzene,  
10 toluene and xylene, on the EPA guide was below  
11 the level where it was likely that sensitive  
12 population would experience adverse health  
13 effects. In short, it's not likely that there  
14 would be any of the health effects derived from  
15 these contaminants present at the sites.

16 The contaminant levels are shown in  
17 the proposed plan for each of these sites, each  
18 of these eight sites, and there is a table, I  
19 believe it's on page 14, which shows the risk  
20 range of these contaminants that would have to  
21 be present at the site to cause a problem. And  
22 if you look at the proposed plan and at the  
23 different sites where contaminants were found,  
24 you will see that the contaminants detected at  
25 the site are orders of magnitude below the risk

1 range that is shown here on this table.

2 In summary, for these 31 sites the  
3 agencies are recommending no further action  
4 based on the 23 sites where the preliminary  
5 investigations, historical records and field  
6 sampling have shown no contamination is present.  
7 And for the eight sites a risk assessment has  
8 been conducted that indicate that contamination  
9 at the sites pose acceptable levels of  
10 contamination.

11 MR. JENSEN: We'll just go ahead  
12 and let T.J. stay here and you ask any questions  
13 that you like. Any questions for him?

14 AUDIENCE MEMBER: Looking at your  
15 table, what scenarios were used to determine  
16 these values?

17 MR. MEYERS: In the Track 1 process  
18 there is a guide document that has been put  
19 together and published and it pretty much  
20 stipulates the scenarios and the exposure routes  
21 that are presented. There is an occupational  
22 exposure route, where any of the contaminants  
23 within the first four feet are considered  
24 available to an occupational receptor. And then  
25 there is a residential scenario, and the

1 residential scenario basically assumes that if  
2 someone would build a house right there at that  
3 facility and take the dirt and create a basement  
4 and take the dirt down to ten feet up and spread  
5 it around their house and it would be available  
6 for both ingestion and for inhalation.

7 The basement scenario that you were  
8 talking about earlier where contaminants migrate  
9 from a volatile point of view was not looked at.  
10 The main reason was that these were considered  
11 the most sensitive exposure routes and that was  
12 the most sensitive -- or most likely scenario or  
13 the most reasonable scenario that was used.

14 AUDIENCE MEMBER: I'm noticing he  
15 is using air inhalation. In that basement  
16 scenario, a basement scenario for indoor would  
17 be a more dominant pathway than air inhalation.

18 MR. MEYERS: The air inhalation  
19 here is mainly, like, from an outdoor area where  
20 you would inhale soil dust into your body. The  
21 air volatilization --

22 AUDIENCE MEMBER: Dust inhalation?

23 MR. MEYERS: Yes.

24 AUDIENCE MEMBER: Okay. Above that  
25 is air volatilization.

1                   MR. MEYERS: That is the next  
2 pathway.

3                   AUDIENCE MEMBER: Well, see, it  
4 doesn't make sense for me to do it that way  
5 without including the indoor scenario, because  
6 the indoor scenario is most likely to be a  
7 dominant pathway as opposed to your outdoor  
8 scenario by, I would say, several factors of  
9 ten, a hundred, much greater. So I don't  
10 understand why you put down the air  
11 volatilization pathway but not an indoor  
12 basement scenario.

13                  AUDIENCE MEMBER: I think it's  
14 difficult when you have risk base numbers like  
15 this -- this is -- if you notice for air  
16 volatilization and the air inhalation there are  
17 ranges presented.

18                  AUDIENCE MEMBER: Right.

19                  AUDIENCE MEMBER: And that is  
20 because these are sensitive to the size of the  
21 site. And I think there would be a number of  
22 other variables involved if you were going to  
23 try to come up with risk based numbers that was  
24 based on inhalation within a house. Actually  
25 EPA's risk base concentration for contaminants

1 are based only on ingestion, on water ingestion  
2 or soil ingestion. So this table goes a step  
3 beyond that to try to look at some of the other  
4 pathways as well.

5 AUDIENCE MEMBER: I agree, but my  
6 point is if you're going to do air volatilization,  
7 then Mr. Meyers said that they didn't look at  
8 indoor pathways because it was a dominant  
9 factor. I disagree that it is a dominant  
10 pathway essentially compared to outdoor  
11 volatilization pathways.

12 AUDIENCE MEMBER: Depending on  
13 route of entry into the house, you have less  
14 pollution.

15 MR. MEYER: Yeah. It's like radon,  
16 your concentrations are going to be much higher  
17 indoors than they will be outdoors. And that is  
18 probably an important pathway essentially  
19 since you have fairly low risk base acceptable  
20 values for your outdoor, I would expect your  
21 indoor to be even more conservative.

22 AUDIENCE MEMBER: That's a good  
23 point.

24 MR. MEYER: I guess it's hard for  
25 me to remember three or four years ago when they

1       were setting up this Track 1 risk assessment  
2       process. But it really -- it came down to how  
3       do you take a contaminant level that is in the  
4       soil, you can detect a sample and then say how  
5       much of that is going to get into a particular  
6       basement in a house. It was just beyond the  
7       ability or the attempt here in this Track 1  
8       investigation to do that level of monitoring.

9               AUDIENCE MEMBER: But doesn't EPA  
10       have guidelines for that? Doesn't RAGS do  
11       models or indoor basement determination of  
12       concentration?

13              MR. MEYER: Not specifically that  
14       I'm aware of. The modeling that I'm aware of is  
15       done mostly just for ingestion of soil or  
16       drinking water standards. They might have  
17       specifically done something like you're  
18       mentioning with the radon concerns. They might  
19       have some models along that line, but I'm not  
20       aware of that list of chemicals that we've done  
21       modeling on, but then, again, I'm not a risk  
22       analysis person for EPA either. I could check  
23       with somebody specifically and get back to you  
24       on that if that would be helpful.

25              MR. STORMBERG: I think there are



1 ways of addressing indoor models. And some  
2 sites at INEL, for example the organic  
3 contamination in the vadose zone at the RWMC,  
4 they did look at some indoor modeling for  
5 volatiles as well, but again, that was a  
6 remedial investigation and a much more intensive  
7 level of investigation than for these Track 1.

8 MR. MEYER: I think that might be  
9 one point to bring out, Jeff, is that these were  
10 really just the beginning process to look at it  
11 as a site, and most of the sites no contaminants  
12 were found. And in many of the sites where  
13 there is contamination that's elevated, they've  
14 gone up to the next level for further  
15 investigation, further evaluation.

16 These sites here, you know, when  
17 you look at the contaminant levels, they are in  
18 the sub/part-per-million range.

19 AUDIENCE MEMBER: My point still  
20 stands that perhaps that's a pathway that you  
21 should be looking at since I think it's more of  
22 a dominant pathway than air volatilization.

23 MR. JENSEN: Would you restate that  
24 as a comment when we get there? That really is  
25 a comment.

1                   Any other questions that we have?

2           None, okay.

3                   Let's go ahead and do the comment  
4           period then. Same format as before, if you  
5           please stand up and state your name so that the  
6           court reporter can get your name and also speak  
7           loudly. And after the comment period, these  
8           folks will be around; for a specific question,  
9           you can talk to them one on one.

10                   So is there anyone who would like  
11           to comment? Yes, Mr. White.

12                   MR. WHITE: C.E. White. I can't  
13           agree totally with my friend over here about the  
14           house basement, what have you. Most of the  
15           contamination -- I'm even going as far as to say  
16           all of the contamination that was found on the  
17           ground or in that area, was not of a very deep  
18           nature. It was probably above four or five  
19           feet. Therefore, if you go down into the  
20           ground, you're not creating a dominant path, I  
21           don't think.

22                   I think your more dominant path is  
23           the way it's looked at because you're living in  
24           Idaho, and if you live in Idaho, you've got the  
25           wind. And this is going to be the greatest, I

1 think, path of contaminant would be from the  
2 surface areas that would be stirred up by the  
3 wind or whatever. I can't -- I agree with most  
4 of your other things, but I can't with that.

5 MR. MEYER: I can talk to you about  
6 that.

7 MR. JENSEN: Just to keep this  
8 process pure, are you done with your comment?

9 MR. WHITE: Yeah.

10 MR. JENSEN: If you want to comment  
11 go ahead and give your name.

12 MR. NOVAK: My name is Steve Novak.  
13 I feel that the indoor pathway should be  
14 addressed as well as the outdoor pathway. For  
15 several reasons. And I'll address Mr. White's  
16 comments. The fact that there is a lot of wind  
17 in Idaho probably decreases the outdoor pathway  
18 even more, because the concentration on the  
19 outdoor pathway most likely would be lower due  
20 to the fact that there is high wind, fresh air  
21 will bring and move contaminants away.

22 As far as the basement scenario,  
23 contaminants not only go through the basement  
24 they go through the walls and the sides of the  
25 basement as well. So, usually, contamination

1 anywhere from one to ten feet was a concern when  
2 you have a basement because it gets sucked into  
3 the basement in the pressure through the outside  
4 and the basement. There is a large concern of  
5 radon. It's also a concern of volatiles:  
6 benzene, toluene, ethylbenzene, especially  
7 benzene which is more toxic than the other  
8 contaminants.

9 MR. JENSEN: Thank you. By the way  
10 as you noticed. We don't respond during your  
11 comments. We just let you speak your piece  
12 without commenting on those.

13 Any other comments tonight? Okay.

14 I'll go ahead and close this formal  
15 comment period then. Again, thank you very much  
16 for coming and remember again, comment period  
17 doesn't close until June 17, so you can submit  
18 the things in writing anytime during that  
19 period. And folks will stay around if you want  
20 to talk to them one on one. Thanks, again, for  
21 coming. Folks, if you want to give us an  
22 evaluation on our meeting tonight, please do so.

23  
24 (The hearing concluded at 8:30 p.m.)  
25

REPORTER'S CERTIFICATE


STATE OF IDAHO            )  
                              ) ss.  
County of Ada            )

I, NANCY SCHWARTZ, a Notary Public  
in and for the State of Idaho, do hereby certify:

That said hearing was taken down by  
me in shorthand at the time and place therein  
named and thereafter reduced to computer type,  
and that the foregoing transcript contains a  
true and correct record of the said hearing, all  
done to the best of my skill and ability.

I further certify that I have no  
interest in the event of the action.

WITNESS my hand and seal this 18th  
day of June, 1994.

  
-----  
Nancy Schwartz, Notary  
Public in and for the  
State of Idaho

My commission expires:  
November 5, 1996

## INDEX

**Look-See Concordance Report**

---  
 UNIQUE WORDS: 1,346  
 TOTAL OCCURRENCES: 4,166  
 NOISE WORDS: 385  
 TOTAL WORDS IN FILE:  
 11,076

**SINGLE FILE CONCORDANCE****CASE SENSITIVE**

---  
 NOISE WORD LIST(S):  
 NOISE.NOI

---  
 INCLUDES ALL TEXT  
 OCCURRENCES

---  
 IGNORES PURE NUMBERS

---  
 WORD RANGES @ BOTTOM  
 OF PAGE

**- \$ -**

\$21 [1] 40:19  
 \$26 [1] 40:19

**- 1 -**

12-inch [1] 15:22  
 17th [2] 42:15, 21  
 18th [1] 64:15  
 1950s [1] 14:8  
 1980s [2] 14:8, 9  
 1s [2] 4:12, 47:15

**- 2 -**

2s [1] 47:16

**- 8 -**

8:30 [1] 63:24

**- A -**

ability [2] 59:7; 64:12  
 Above-ground [1] 26:25  
 absorption [1] 41:16  
 accelerating [1] 5:12  
 acceptable [8] 8:21; 24:1, 13;  
 25:2; 53:7; 54:4; 55:9; 58:19  
 acceptance [1] 27:23  
 access [1] 28:19  
 accomplish [2] 43:15, 22  
 accomplished [1] 43:24  
 according [1] 33:4  
 accurate [1] 34:8  
 accurately [1] 32:18  
 Action [3] 26:8; 28:11, 18  
 action [21] 5:19, 20, 25; 7:6;  
 16:20, 23, 25; 19:15, 22, 23;  
 28:10; 29:12, 20, 24; 32:3; 35:1;  
 48:10, 13, 25; 55:3; 64:14  
 actions [1] 26:7  
 acts [1] 21:21  
 Ada [1] 64:4  
 adapt [1] 32:1  
 add [1] 45:1  
 additional [7] 22:14; 23:25;  
 24:12, 24; 34:9; 43:20; 53:2

address [5] 12:1; 20:17; 31:14;  
 39:21; 62:15  
 addressed [2] 30:21; 62:14  
 addressing [1] 60:1  
 administrative [1] 29:1  
 adsorption [2] 27:4; 35:5  
 adults [1] 39:3  
 advanced [1] 15:8  
 adverse [3] 24:16; 25:9; 54:12  
 adversely [1] 24:6  
 advisable [1] 41:21  
 aerial [2] 15:16; 36:17  
 aerially [2] 36:13, 17  
 affected [1] 24:6  
 agencies [2] 51:23; 55:3  
 Agency [1] 10:21  
 agency [1] 49:10  
 agenda [2] 3:16; 42:5  
 agree [4] 45:19; 58:5; 61:13; 62:3  
 Agreement [3] 5:2; 6:19; 46:21  
 agreement [4] 5:10, 13; 10:16;  
 47:12  
 air [14] 16:12; 27:3; 36:5; 56:15,  
 17, 18, 21, 25; 57:10, 15, 16;  
 58:6; 60:22; 62:20  
 aircraft [3] 14:7, 23, 24  
 alleviate [1] 43:18  
 Alternative [6] 29:9; 30:15; 31:4,  
 5, 13; 45:20  
 alternative [16] 11:24; 17:21;  
 18:8; 26:8, 12; 28:7, 11, 17;  
 29:10; 31:14; 40:15; 43:16; 44:2,  
 3; 45:6, 24  
 Alternatives [1] 29:8  
 alternatives [13] 11:23; 12:4;  
 17:17, 19; 25:16, 17, 20, 24; 26:4;  
 27:12; 28:6, 9, 15  
 altogether [1] 7:15  
 americium-241 [1] 19:16  
 amount [2] 40:25; 41:1  
 amounts [1] 17:6  
 analysis [8] 18:25; 27:11; 36:21;  
 38:9; 40:3, 4, 5; 59:22  
 angle [1] 15:18  
 answer [5] 10:1, 3; 13:8; 32:7;  
 37:5  
 anybody [4] 42:7, 8; 44:17;  
 50:25  
 anytime [2] 42:21; 63:18  
 anywhere [2] 24:9; 63:1  
 appears [1] 43:17  
 applicable [2] 25:25; 26:10  
 applied [1] 28:1  
 apply [1] 27:13  
 appreciate [1] 12:23  
 approach [2] 11:25; 31:7  
 approximate [1] 36:15  
 Aquifer [2] 15:24; 21:15  
 aquifer [12] 15:23; 21:2, 5, 23,  
 24; 22:5; 26:24; 27:2; 30:8; 31:8;  
 32:22; 37:23  
 Area [29] 3:10; 4:9; 6:6, 20, 22,  
 24; 7:3, 13, 17, 19; 9:25; 10:24;  
 11:1; 13:16, 20; 14:2, 5, 12;  
 15:19; 16:1, 6; 28:10; 32:24;  
 35:21; 36:2; 49:8; 51:25  
 area [12] 5:13; 8:20; 14:23; 21:6,  
 20; 30:18, 19, 20; 31:17, 23;  
 56:19; 61:17  
 areas [3] 17:25; 50:12; 62:2  
 armor [1] 15:8

Army [1] 15:7  
 arrow [1] 25:1  
 asking [2] 38:6; 39:22  
 aspect [1] 11:5  
 aspects [2] 8:8; 11:7  
 assessment [12] 8:6, 7; 39:17,  
 24; 51:22; 53:5, 6, 23; 54:2, 8;  
 55:7; 59:1  
 associated [5] 9:10; 23:24; 25:9;  
 27:6; 29:6  
 assume [1] 33:14  
 assumes [1] 56:1  
 assuming [1] 45:12  
 attempt [2] 30:23; 59:7  
 AUDIENCE [39] 32:20; 33:2, 7,  
 17, 21; 34:2, 11, 20; 35:7, 16, 19,  
 22; 36:9, 20; 37:2, 6, 15, 19; 38:2,  
 5, 24; 39:6; 40:7, 12; 41:14, 22;  
 55:14; 56:14, 22, 24; 57:3, 13, 18,  
 19; 58:5, 12, 22; 59:9; 60:19  
 available [6] 31:11; 41:10, 12;  
 42:4; 55:24; 56:5  
 average [9] 9:1; 33:1; 36:11, 13,  
 14, 17; 38:9; 39:25; 40:17  
 aware [5] 13:21; 19:15; 59:14, 20

**- B -**

barrier [1] 21:21  
 barriers [1] 26:15  
 basalt [3] 20:20, 21; 22:17  
 basalts [1] 38:21  
 base [4] 47:20; 57:14, 25; 58:19  
 based [8] 36:18; 47:5, 18, 22;  
 55:4; 57:23, 24; 58:1  
 baseline [2] 20:15; 36:25  
 basement [20] 37:20, 22, 25;  
 38:14, 15, 17; 56:3, 7, 15, 16;  
 57:12; 59:6, 11; 61:14; 62:22, 23,  
 25; 63:2, 3, 4  
 basements [2] 38:15, 18  
 basic [2] 18:10; 25:14  
 Basically [1] 4:2  
 basically [16] 8:2; 9:8, 22; 17:24;  
 19:3, 20; 20:19; 22:24; 28:3; 30:7;  
 39:24; 47:16; 50:7; 51:6; 53:11;  
 56:1  
 basis [1] 44:3  
 batch [1] 17:7  
 behalf [1] 11:8  
 believe [7] 10:10; 11:24; 29:15;  
 31:19; 40:15; 41:5; 54:19  
 benzene [4] 53:20; 54:1; 63:6, 7  
 billion [3] 30:25; 31:2; 36:4  
 birth [1] 8:12  
 bit [9] 4:13; 6:12, 17; 7:20; 9:7,  
 15; 15:17; 47:24, 25  
 black [1] 18:22  
 board [1] 18:23  
 body [2] 23:11; 56:20  
 boiler [1] 52:13  
 bombs [1] 5:21  
 bound [2] 38:7; 40:9  
 bounding [1] 39:21  
 bounds [2] 37:3; 38:11  
 brand [1] 12:19  
 break [6] 41:7, 12; 42:7, 9; 46:6,  
 11  
 Breeder [1] 15:1  
 brief [3] 4:14; 46:19; 48:24  
 briefing [1] 6:8  
 briefly [2] 7:11, 23  
 build [1] 56:2  
 building [2] 31:24; 52:14  
 bump [1] 48:17  
 buy [1] 29:3

**- C -**

C.E. [2] 43:12; 61:12  
 calculate [2] 33:2, 20  
 calculated [3] 23:19; 24:4, 14  
 calculating [1] 33:4  
 calculations [1] 40:23  
 call [3] 7:15; 20:22; 26:6  
 cancellation [1] 14:8  
 cancer [12] 8:9, 17; 9:1; 23:24,  
 25; 24:11, 12, 23, 24, 25; 25:4;  
 54:1  
 captured [1] 35:5  
 car [1] 41:7  
 carbon [3] 27:4; 35:5  
 carcinogenic [2] 8:9, 17  
 care [1] 44:12  
 Carlo [1] 40:6  
 case [2] 25:18; 48:17  
 cases [9] 5:12; 47:5; 48:2, 15;  
 50:11, 15; 51:15, 16  
 categories [3] 8:14, 15; 26:6  
 category [1] 48:23  
 ceased [2] 22:9; 33:24  
 Central [1] 6:5  
 certainty [1] 9:9  
 CERTIFICATE [1] 64:1  
 certify [2] 64:6, 13  
 cesium-137 [3] 19:12; 53:22;  
 54:1  
 cetera [1] 3:21  
 CFA [1] 6:5  
 chance [3] 12:5; 42:10; 46:4  
 chances [1] 8:25  
 changes [2] 28:16; 44:1  
 characterization [1] 18:4  
 chart [4] 4:1; 9:18; 36:10; 40:13  
 check [1] 59:22  
 chemicals [1] 59:20  
 children [2] 39:3, 11  
 chosen [1] 13:3  
 Citizens [1] 4:18  
 clarification [2] 13:10; 38:6  
 clays [1] 21:9  
 clean [3] 31:16; 45:22; 48:13  
 cleaner [1] 45:9  
 cleaning [2] 5:21; 45:22  
 cleanup [9] 4:21; 7:25; 8:1, 21;  
 31:22; 32:1, 3; 46:22; 48:11  
 cleanups [2] 5:6, 18  
 closer [1] 43:24  
 colleagues [1] 11:9  
 collect [1] 47:25  
 collected [1] 51:17  
 collection [1] 26:18  
 color [2] 52:9  
 coming [8] 6:4, 6, 9; 7:17; 12:14;  
 39:12; 63:16, 21  
 comment [26] 3:11, 20; 10:4;  
 32:14, 17; 42:6, 12, 14, 16, 18,  
 24; 43:1, 2, 9, 10; 46:2; 49:2;  
 60:24, 25; 61:3, 7, 11; 62:8, 10;  
 63:15, 16  
 commenter [1] 43:4  
 commenting [1] 63:12

comments [16] 3:12, 22; 4:5; 10:6, 8; 12:8, 16, 22, 23; 32:16; 43:8; 44:19, 25; 62:16; 63:11, 13  
 commission [1] 64:21  
 compared [1] 58:10  
 compile [1] 51:9  
 compiled [1] 51:21  
 complete [1] 48:4  
 completed [5] 5:5, 20, 24; 49:9; 54:2  
 complex [1] 11:19  
 comply [1] 27:17  
 component [1] 29:5  
 components [1] 29:10  
 composed [2] 20:25; 21:8  
 Comprehensive [1] 7:16  
 comprehensive [2] 5:14; 7:14  
 computer [2] 36:18; 64:9  
 concentration [8] 16:14; 22:10; 36:14, 15; 38:18; 57:25; 59:12; 62:18  
 concentrations [1] 58:16  
 concern [3] 63:1, 4, 5  
 concerned [1] 19:4  
 concerns [2] 4:4; 59:18  
 conclude [2] 32:13; 46:5  
 concluded [1] 63:24  
 condition [3] 50:13; 51:12, 18  
 conducted [4] 18:24; 51:15; 53:5; 55:8  
 conservative [1] 58:21  
 consider [2] 38:15; 41:15  
 considered [4] 23:1; 28:4; 55:23; 58:10  
 considering [1] 30:4  
 consist [3] 21:1; 49:25; 50:9  
 consists [1] 50:22  
 constituents [1] 25:4  
 constructing [1] 29:22  
 consumption [1] 25:10  
 contact [1] 41:19  
 contain [1] 28:13  
 Containment [1] 26:14  
 containment [2] 26:16; 29:25  
 contains [1] 64:10  
 contaminant [15] 9:10; 16:5, 13; 20:3, 15; 21:2; 29:18; 30:5; 31:6, 15; 33:13; 54:16; 59:3; 60:17; 62:1  
 contaminants [45] 8:3, 10; 17:11; 18:16, 19; 19:3; 20:1, 9; 21:14, 17, 22; 22:11, 15, 22; 23:11; 24:7; 26:19; 28:13; 30:1, 6, 11; 33:6; 35:11; 36:6, 7; 37:23; 38:22; 39:19; 53:18, 20, 24, 25; 54:7, 9, 15, 20, 23, 24; 55:22; 56:8; 57:25; 60:11; 62:21, 23; 63:8  
 contaminated [12] 23:18; 26:23; 28:21; 29:4; 30:16, 24, 25; 31:1; 45:23; 46:24; 50:10; 53:22  
 contamination [40] 4:10; 15:18; 16:10; 17:6; 18:12, 13, 20; 20:18; 21:6; 22:3; 26:20; 28:5, 14, 16, 25; 29:21; 30:9, 18, 19; 31:16, 17, 23; 34:25; 35:4; 39:25; 48:7; 51:13; 52:15, 25; 53:4, 9, 10; 55:6, 8, 10; 60:3, 13; 61:15, 16; 62:25  
 continuation [1] 29:11  
 continue [5] 12:1; 13:4; 19:22;

29:19, 20  
 continued [1] 22:15  
 Continuing [1] 29:23  
 continuing [2] 11:17; 22:17  
 continuous [2] 20:24; 21:11  
 contracting [1] 8:25  
 controlled [1] 40:17  
 controlling [1] 29:7  
 controls [5] 5:2; 26:11; 28:19; 46:21  
 copies [1] 4:16  
 copy [3] 4:23; 36:24; 41:4  
 core [1] 14:18  
 correspond [1] 6:20  
 cost [3] 40:13, 14; 45:21  
 costs [3] 27:20; 29:4, 6  
 County [1] 64:4  
 couple [11] 3:9, 25; 4:19; 6:13, 16; 9:21; 11:2, 21; 15:9; 27:22; 42:13  
 court [4] 10:7; 32:10; 42:17; 61:6  
 cover [3] 6:15; 9:22; 10:11  
 covers [2] 10:10; 13:25  
 create [1] 56:3  
 creating [1] 61:20  
 criteria [5] 25:21; 26:5; 27:13, 23; 28:2  
 crops [2] 23:17; 37:13  
 cubic [1] 16:17  
 current [4] 22:25; 23:21; 51:18, 20  
 Currently [1] 15:6  
 currently [2] 23:23; 50:1

- D -

damage [2] 8:12; 39:13  
 Dan [8] 13:14, 16, 18; 19:7, 13; 20:1; 28:5; 42:1  
 data [5] 12:3; 21:14; 47:18, 21; 48:1  
 date [1] 17:10  
 day [3] 33:16; 64:16  
 DCE [1] 19:9  
 deal [4] 31:18; 33:7; 40:24; 47:4  
 dealing [4] 20:19; 22:1; 25:18; 37:22  
 debris [2] 14:18; 50:16  
 Decision [5] 5:5, 7; 12:12; 44:23  
 decision [3] 12:10; 47:21; 49:18  
 declines [1] 40:25  
 decreases [1] 62:17  
 deed [2] 26:13; 29:2  
 deemed [1] 8:20  
 deep [1] 61:17  
 default [1] 39:13  
 defects [1] 8:12  
 Defense [1] 5:23  
 deferring [1] 31:22  
 define [3] 18:11, 20; 21:6  
 defined [2] 24:2; 25:3  
 degree [2] 9:8; 30:1  
 Department [6] 5:23; 10:19; 12:25; 13:15, 19, 23  
 Depending [1] 58:12  
 derived [1] 54:14  
 dermal [1] 41:16  
 describe [1] 17:19  
 descriptions [1] 17:25  
 designing [1] 29:22  
 destroyed [2] 35:3, 12

detail [1] 36:25  
 detailed [1] 27:11  
 detect [1] 59:4  
 detected [6] 19:11, 16; 37:25; 38:3; 53:21; 54:24  
 detection [1] 15:15  
 determination [3] 48:9, 25; 59:11  
 determine [3] 49:16; 51:17; 55:15  
 determined [1] 49:23  
 developed [1] 4:19  
 developing [1] 15:14  
 development [3] 14:6, 10; 15:4  
 diameter [1] 15:22  
 dichloroethene [1] 19:9  
 dichloropropane [1] 19:19  
 differential [1] 38:16  
 difficult [3] 45:21, 22; 57:14  
 directing [1] 31:20  
 dirt [3] 48:13; 56:3, 4  
 disagree [1] 58:9  
 discharged [1] 52:21  
 discharging [1] 17:9  
 discovered [2] 16:11; 44:6  
 discussed [1] 53:3  
 discussing [3] 45:3; 49:8, 22  
 discussion [2] 43:14; 51:24  
 display [1] 14:25  
 disposal [2] 22:8; 50:18  
 dispose [1] 15:25  
 disposing [1] 33:25  
 dissolved [3] 29:18; 30:18; 31:17  
 distance [1] 34:8  
 distributed [5] 19:8; 20:11, 12; 22:3; 33:13  
 distribution [5] 18:15; 19:25; 33:6; 38:12; 39:23  
 distributions [1] 18:16  
 distributor [1] 20:2  
 disturbed [1] 50:15  
 divided [3] 6:19, 25; 7:2  
 document [4] 50:23; 51:2, 6; 55:18  
 DOE [1] 11:21  
 Doesn't [1] 59:10  
 doesn't [4] 38:10; 57:4; 59:9; 63:17  
 dominant [7] 56:17; 57:7; 58:8, 9; 60:22; 61:20, 22  
 dots [1] 18:23  
 drained [1] 50:6  
 drawing [1] 13:1  
 drilled [1] 18:22  
 drinking [13] 16:11, 13, 14; 21:16, 18; 23:15; 30:13, 14; 31:3, 8; 36:2, 12; 59:16  
 drove [1] 45:12  
 due [2] 38:16; 62:19  
 Dust [1] 56:22  
 dust [1] 56:20  
 dynamic [1] 19:20

- E -

early [3] 14:8, 9; 16:18  
 easily [1] 11:20  
 easy [1] 27:19  
 edge [1] 36:3  
 effect [2] 9:9, 13  
 effective [4] 21:2, 5; 22:4; 27:18  
 effects [5] 8:11; 24:16; 25:9;

54:13, 14  
 effluent [1] 16:3  
 efforts [3] 14:10; 15:4, 13  
 EG [2] 49:4, 7  
 eight [3] 53:4; 54:18; 55:7  
 elevated [1] 60:13  
 emergency [1] 52:13  
 employee [1] 51:11  
 encourage [1] 12:14  
 encourages [1] 11:11  
 end [4] 7:13; 13:13; 34:16; 42:2  
 Energy [4] 13:1, 15, 19, 23  
 energy [2] 14:11; 15:5  
 enforceable [1] 5:10  
 Engine [2] 14:22; 52:3  
 Engineering [1] 13:22  
 engines [1] 14:25  
 ENGLISH [1] 10:24  
 English [1] 10:18  
 enhanced [6] 29:13, 22; 30:3, 5, 6, 7  
 entry [1] 58:13  
 environment [2] 22:23; 27:17  
 Environmental [2] 4:14; 10:21  
 EPA [16] 5:4; 8:18; 10:15; 11:22; 12:19; 24:2, 14; 25:3, 22; 27:14; 35:14; 39:17; 54:10; 57:25; 59:9, 22  
 Equally [1] 45:17  
 equally [1] 45:16  
 equate [1] 33:12  
 equates [1] 39:10  
 equipment [2] 14:20; 50:12  
 essentially [5] 6:20; 20:4; 34:7; 58:10, 18  
 established [7] 8:18, 24; 9:4; 14:6; 25:21; 39:16, 17  
 estimate [1] 31:10  
 estimates [1] 40:10  
 et [1] 3:21  
 ethylbenzene [3] 53:20; 54:9; 63:6  
 evaluate [10] 11:4, 7, 22; 18:18; 22:21; 47:11; 49:16; 51:8, 14, 16  
 evaluated [3] 17:17; 18:6; 23:10  
 evaluates [1] 15:11  
 evaluating [1] 8:4  
 evaluation [6] 3:19; 47:18; 48:1, 24; 60:15; 63:22  
 evening [4] 3:3; 9:18; 17:23; 49:6  
 event [1] 64:14  
 eventually [1] 12:11  
 evolving [1] 50:21  
 example [2] 26:11; 60:2  
 Examples [1] 8:12  
 examples [2] 26:3; 35:24  
 excavated [1] 50:3  
 exceed [2] 21:15, 18  
 except [2] 24:10; 31:5  
 exception [1] 26:8  
 exchange [1] 27:4  
 existent [1] 48:7  
 existing [2] 47:18, 20  
 expect [1] 58:20  
 experience [1] 54:12  
 Experimental [1] 15:1  
 expires [1] 64:21  
 explain [2] 4:12; 17:20  
 explosive [1] 15:15  
 exposed [2] 9:2; 28:21  
 exposure [8] 23:10; 24:7; 40:2;



41:17, 21; 55:20, 22; 56:11  
**express** [1] 8:15  
**extends** [3] 16:8; 20:4; 21:3  
**extensive** [1] 47:24  
**extent** [4] 18:12, 20; 20:18; 21:6  
**extracted** [2] 30:11, 16  
**extracting** [1] 29:20  
**extraction** [3] 26:21; 29:13; 30:10  
**eye** [1] 19:21

---

- F -

---

**Facilities** [1] 6:5  
**facilities** [9] 6:21; 14:1, 4, 11, 21; 52:1, 11, 23; 53:10  
**Facility** [19] 5:1; 6:18; 14:13, 22; 15:2, 3, 7, 11, 17; 20:5, 7; 46:21; 52:3, 5, 7, 16, 17, 21  
**facility** [8] 14:14; 15:8; 29:23; 35:15; 49:15; 51:25; 52:5; 56:3  
**fact** [3] 20:11; 62:16, 20  
**factor** [1] 58:9  
**factors** [1] 57:8  
**fairly** [10] 3:17; 13:9; 19:20; 21:11, 19; 25:7; 30:17; 32:8, 25; 58:19  
**fall** [2] 6:7, 10  
**FALLS** [1] 3:1  
**Falls** [2] 13:24; 33:18  
**fast** [2] 33:3; 34:14  
**Feasibility** [8] 16:21; 17:14, 16; 18:1; 25:14, 15; 41:4; 48:18  
**features** [2] 21:19; 22:5  
**Federal** [3] 5:1; 6:18; 46:21  
**federal** [6] 16:14; 27:17; 30:13, 14; 31:3, 8  
**feel** [5] 7:21; 13:2; 41:19; 47:24; 62:13  
**feet** [9] 16:17; 21:3, 4, 10; 33:16; 55:23; 56:4; 61:19; 63:1  
**fell** [1] 48:22  
**fences** [1] 28:23  
**fencing** [1] 26:13  
**field** [3] 47:15; 48:1; 55:5  
**fields** [1] 45:8  
**fill** [1] 42:19  
**final** [1] 12:10  
**find** [6] 12:5; 22:10; 33:9; 37:5; 48:6, 15  
**finding** [1] 44:9  
**findings** [1] 18:3  
**fine** [1] 21:9  
**finished** [2] 5:18; 17:18  
**fire** [1] 14:17  
**First** [4] 10:13; 18:2; 25:15; 48:6  
**first** [13] 4:9; 9:24; 16:10; 22:24; 23:12; 28:11; 29:11; 31:18; 33:8; 43:7; 45:14; 48:3; 55:23  
**fit** [1] 20:11  
**fits** [1] 7:21  
**five** [8] 26:9; 31:2; 34:19; 36:3; 40:18; 61:18  
**fixed** [1] 40:1  
**flexibility** [1] 31:25  
**flow** [2] 22:17; 33:12  
**flows** [3] 20:20, 21; 33:14  
**focuses** [1] 31:15  
**focusing** [1] 31:19  
**Folks** [1] 63:21  
**folks** [3] 3:3; 61:8; 63:19  
**follow** [1] 3:17

**Following** [1] 14:8  
**food** [1] 23:16  
**foot** [2] 21:5; 37:24  
**foregoing** [1] 64:10  
**form** [2] 3:19, 24  
**formal** [5] 10:4; 32:13; 42:23; 44:20; 63:14  
**formalized** [1] 12:11  
**formalizing** [1] 49:1  
**format** [1] 61:4  
**former** [1] 50:1  
**formulate** [2] 11:23; 12:10  
**forward** [1] 47:17  
**found** [17] 18:25; 20:10; 21:7, 13; 23:19; 24:11, 19, 23; 25:6; 35:8; 53:4, 9, 11, 19; 54:23; 60:12; 61:16  
**four** [10] 14:11; 28:3, 9; 40:20; 43:21, 25; 50:4; 55:23; 58:25; 61:18  
**fraction** [1] 35:3  
**fresh** [1] 62:20  
**friend** [1] 61:13  
**Fromm** [1] 11:3  
**FS** [4] 30:21, 22; 31:24; 34:15  
**full** [1] 25:20  
**future** [10] 23:4, 7, 15; 24:8, 19, 22; 26:18; 44:5, 11, 13

---

- G -

---

**gallons** [3] 16:25; 17:1, 8  
**Gary** [1] 11:6  
**gate** [1] 14:16  
**gathering** [1] 38:18  
**generated** [1] 16:1  
**generator** [1] 52:13  
**gets** [1] 63:2  
**give** [19] 4:3, 5, 14; 6:17; 7:20; 9:14; 10:20, 22; 12:3, 4; 17:24; 36:23; 42:16; 43:2, 9, 10; 46:18; 62:11; 63:21  
**given** [2] 12:24; 36:16  
**gives** [2] 6:10; 13:2  
**giving** [1] 38:9  
**glad** [2] 11:10; 12:22  
**goes** [1] 58:2  
**gradient** [2] 20:6; 22:18  
**great** [1] 40:24  
**greater** [1] 57:9  
**greatest** [1] 61:25  
**green** [1] 52:15  
**Greg** [5] 13:17; 17:12, 22; 32:25; 42:2  
**ground** [4] 45:10; 50:6; 61:17, 20  
**groundwater** [30] 4:10; 7:4; 9:25; 11:7, 18; 15:18; 18:14, 19, 21, 24; 20:3, 5, 10; 21:13, 16; 23:6, 15; 25:18; 26:20; 28:2, 4; 29:21; 30:17, 24; 33:10, 12, 15; 45:21; 47:2; 48:19  
**Group** [5] 6:22; 7:14; 10:25; 13:16, 20  
**group** [1] 5:14  
**grouped** [1] 53:12  
**Groups** [3] 6:20, 24; 7:19  
**guard** [1] 14:16  
**guess** [3] 5:22; 45:19; 58:24  
**guidance** [1] 39:18  
**Guide** [1] 4:18  
**guide** [2] 54:10; 55:18

**guidelines** [1] 59:10

---

- H -

---

**half** [8] 5:3; 11:15; 16:9; 20:5, 7, 13; 34:1  
**hand** [5] 10:15; 22:20; 24:18; 64:15  
**handful** [1] 25:24  
**happy** [2] 5:16; 11:16  
**hard** [1] 58:24  
**HARELSON** [15] 13:18; 28:8; 32:23; 34:4, 15, 24; 35:10, 17, 20, 25; 36:12; 37:9, 17; 40:14; 45:15  
**Harelson** [2] 13:14, 18  
**haven't** [3] 37:24; 38:2, 22  
**hazard** [8] 9:6, 7; 24:3, 14; 25:5, 7, 8; 39:5  
**hazardous** [1] 8:3  
**head** [2] 6:17; 44:14  
**heads-up** [1] 9:15  
**Health** [1] 10:19  
**health** [9] 8:11; 9:9, 13; 22:23; 25:9; 27:15, 16; 54:12, 14  
**hear** [4] 4:4; 11:19, 25; 32:11  
**hearing** [3] 63:24; 64:7, 11  
**heating** [1] 52:14  
**help** [3] 3:23; 10:9; 12:9  
**helped** [2] 11:4, 7  
**helpful** [2] 40:11; 59:24  
**helps** [2] 6:12; 30:9  
**hereby** [1] 64:6  
**hesitate** [1] 12:16  
**high** [3] 9:8; 25:7; 62:20  
**higher** [3] 29:5; 38:18; 58:16  
**highest** [1] 22:10  
**historical** [5] 49:15; 51:9, 10, 20; 55:5  
**historically** [1] 51:14  
**hope** [1] 6:12  
**hopefully** [3] 6:17; 7:20; 9:14  
**horizontal** [1] 19:25  
**Hot** [1] 14:19  
**house** [6] 56:2, 5; 57:24; 58:13; 59:6; 61:14  
**houses** [4] 37:8, 20; 38:16  
**human** [3] 22:22; 27:15, 16  
**hundred** [1] 57:9  
**hydraulic** [2] 26:16; 29:25  
**hydrocarbic** [1] 53:19  
**hydrogeologist** [1] 11:6  
**hypothetical** [1] 35:24

---

- I -

---

**I'd** [4] 3:4; 6:15; 12:13; 18:2  
**I've** [2] 43:12; 44:17  
**IDAHO** [2] 3:1; 64:2  
**Idaho** [12] 5:4; 10:16, 19; 13:22, 24; 33:18; 35:16; 61:24; 62:17; 64:6, 20  
**idea** [1] 6:11  
**identical** [1] 31:4  
**identified** [4] 26:4; 27:9; 46:23; 47:5  
**identify** [1] 25:16  
**illustration** [1] 37:10  
**immediate** [1] 22:11  
**implement** [1] 27:20  
**implies** [2] 14:14; 28:12  
**important** [6] 20:16; 21:19; 22:5, 14, 19; 58:18

**improve** [1] 3:21  
**inactive** [1] 50:1  
**incidence** [2] 23:25; 24:25  
**incident** [1] 24:12  
**include** [7] 14:21; 19:5; 26:12, 14; 27:3, 14; 44:24  
**included** [1] 19:12  
**includes** [3] 19:9; 26:21; 29:10  
**index** [8] 9:6, 7; 24:3, 15; 25:5, 7, 8; 39:5  
**indicate** [2] 25:2; 55:8  
**indicated** [2] 19:13; 20:1  
**indicates** [2] 22:13; 24:5  
**indicating** [3] 15:21; 24:15; 52:4  
**indices** [1] 39:18  
**individuals** [2] 24:1, 13  
**indoor** [11] 37:7; 56:16; 57:5, 6, 11; 58:8, 21; 59:11; 60:1, 4; 62:13  
**indoors** [2] 37:16; 58:17  
**industrial** [3] 16:2; 22:25; 23:21  
**INEL** [6] 6:18, 19; 8:1; 11:17; 46:23; 60:2  
**INEL-wide** [2] 30:22; 31:24  
**infants** [1] 39:11  
**informal** [3] 3:17; 13:9; 32:9  
**information** [11] 4:3, 22; 17:15; 18:18; 22:20; 47:9; 49:13, 14; 51:10, 19, 20  
**ingesting** [1] 23:16  
**ingestion** [9] 23:14; 37:11, 12, 13; 56:6; 58:1, 2; 59:15  
**Inhalation** [2] 37:12, 15  
**inhalation** [9] 23:12; 37:11; 56:6, 15, 17, 18, 22; 57:16, 24  
**inhale** [1] 56:20  
**Initial** [2] 14:22; 52:3  
**initially** [1] 19:16  
**injecting** [1] 45:10  
**injection** [21] 5:25; 7:5; 15:20, 21; 16:8, 18, 22; 18:14; 19:17; 20:13; 22:8, 9, 16; 23:8; 24:10, 20; 25:13; 26:22; 29:16; 30:8; 45:3  
**input** [1] 22:17  
**installed** [1] 16:12  
**Institutional** [1] 28:19  
**institutional** [2] 26:11; 28:18  
**intensive** [1] 60:6  
**interbed** [5] 20:25; 21:8, 15, 17, 21  
**interbeds** [1] 20:22  
**interest** [2] 11:17; 64:14  
**interim** [12] 5:19, 20, 25; 7:6; 16:19, 23; 19:14, 22; 29:12, 19, 23; 34:25  
**interviews** [2] 47:6; 51:11  
**introduce** [9] 6:15; 10:12, 17; 11:2; 13:14, 17; 17:12, 22; 49:3  
**introduction** [1] 46:19  
**Investigation** [11] 7:16; 16:21; 17:14, 16; 18:1, 3, 10, 11; 19:1; 36:24; 48:18  
**investigation** [16] 6:6; 7:4, 14; 8:5; 10:14; 46:25; 47:13; 48:16; 49:22, 24; 50:20; 53:3; 59:8; 60:6, 7, 15  
**investigations** [12] 4:11; 5:14; 7:8, 9, 13; 9:17; 19:2; 47:15; 48:5, 20; 49:9; 55:5  
**investigators** [1] 17:13  
**involve** [2] 30:4; 32:22

involved [1] 57:22

involves [4] 29:17; 30:7, 16;  
39:24

involving [1] 14:10

ion [1] 27:4

irrigated [2] 23:17; 37:13

island [1] 14:18

item [2] 45:2, 10

---

**- J -**

---

Jeff [2] 11:3; 60:9

JENSEN [17] 3:3; 13:5; 32:6;  
39:4, 7, 15; 41:11, 25; 43:6;  
44:19; 46:1, 14; 55:11; 60:23;  
62:7, 10; 63:9

Jensen [1] 3:5

JUNE [1] 3:1

June [4] 42:15, 21; 63:17; 64:16

---

**- K -**

---

keep [7] 13:8; 16:13; 19:21;  
26:17; 30:2; 32:9; 62:7

keeping [1] 32:10

kept [1] 17:4

Knowing [1] 25:11

knowledge [2] 49:15; 51:9

---

**- L -**

---

Laboratory [1] 13:22

lack [1] 5:22

laid [1] 20:21

land [2] 21:3; 29:3

Landfill [1] 6:6

large [2] 50:12; 63:4

larger [1] 31:6

last [4] 7:24; 9:25; 10:11; 46:4

lasts [1] 42:15

lateral [1] 19:25

laws [1] 27:18

leaks [1] 53:15

learn [1] 32:1

lengthy [1] 13:12

level [8] 17:5; 31:2; 53:7; 54:11;

59:3, 8; 60:7, 14

levels [4] 36:10; 54:16; 55:9;  
60:17

likelihood [1] 54:5

limit [1] 28:19

Limited [1] 28:18

limited [2] 47:15; 48:4

line [1] 59:19

liquid [1] 53:16

list [6] 18:7; 25:23; 27:10; 28:2;  
53:24; 59:20

live [2] 33:21; 61:24

living [1] 61:23

located [6] 13:23; 14:1; 15:20;  
36:3; 52:4, 20

LOFT [1] 52:2

logistic-wise [1] 9:21

loosen [1] 45:4

Loss-of-Fluid [4] 15:2, 6; 52:2,  
16lot [7] 3:7; 6:3; 38:14; 47:4, 5, 9;  
62:16

loudly [1] 61:7

low [4] 48:7, 8; 54:5; 58:19

lower [6] 17:5; 21:23; 37:3; 38:7,  
11; 62:19

---

**- M -**

---

M1-A1 [1] 15:9

magenta [1] 52:9

magnitude [1] 54:25

main [3] 29:10; 52:5; 56:10

mainly [1] 56:19

maintenance [1] 14:15

major [2] 43:19; 52:1

majority [1] 48:2

Mail [1] 4:18

Manager [2] 13:15, 19

manager [4] 10:25; 12:19, 21;  
49:7

manufactures [1] 15:8

manufacturing [1] 15:7

Margie [1] 10:18

material [2] 29:15; 53:14

Matt [2] 10:20; 12:18

matter [1] 8:2

mean [1] 38:7

means [3] 4:13; 24:21; 28:22

meant [1] 54:5

measure [1] 29:24

mechanism [1] 37:18

mechanisms [1] 29:2

meet [1] 31:8

meeting [11] 3:9; 9:22; 12:3;

13:4; 14:3; 16:22; 42:24; 46:6, 8,  
20; 63:22meetings [4] 3:20; 4:1; 11:15;  
16:19MEMBER [39] 32:20; 33:2, 7, 17,  
21; 34:2, 11, 20; 35:7, 16, 19, 22;  
36:9, 20; 37:2, 6, 15, 19; 38:2, 5,  
24; 39:6; 40:7, 12; 41:14, 22;  
55:14; 56:14, 22, 24; 57:3, 13, 18,  
19; 58:5, 12, 22; 59:9; 60:19

members [1] 11:2

mention [2] 13:6; 42:13

mentioned [5] 4:7; 19:7; 34:16;  
38:20; 53:2

mentioning [1] 59:18

meters [1] 33:16

MEYER [8] 38:8; 39:20; 49:6;

58:15, 24; 59:13; 60:8; 62:5

Meyer [2] 49:3, 7

MEYERS [4] 55:17; 56:18, 23;  
57:1

Meyers [1] 58:7

mid-February [1] 16:24

middle [2] 3:10; 42:14

migrate [1] 56:8

migrated [1] 20:3

migration [3] 21:22; 26:18; 34:9

mile [6] 16:8, 9; 20:5, 7, 13;

33:25

miles [5] 13:24, 25; 14:4; 34:10

milestones [1] 5:10

million [2] 23:25; 40:19

minus [3] 40:18, 21, 22

minute [3] 10:22; 17:1, 2

minutes [4] 10:1; 32:10, 12;

46:12

mode [1] 17:7

model [1] 36:18

modeling [5] 34:5, 6; 59:14, 21;  
60:4

models [3] 59:11, 19; 60:1

moderate [1] 10:8

moderator [1] 3:5

MONDAY [1] 3:1

money [5] 32:3; 40:25; 43:21;  
44:1, 2

monitor [1] 28:15

monitoring [3] 18:21; 29:5; 59:8

Monte [1] 40:5

month [1] 11:15

months [1] 4:19

mostly [2] 47:18; 59:15

move [1] 62:21

moves [1] 30:10

moving [3] 32:21, 23; 34:13

MS [1] 10:24

myself [1] 11:8

---

**- N -**

---

name [11] 3:4; 14:14; 28:11;  
43:1, 2; 45:18; 49:6; 61:5, 6;

62:11, 12

named [1] 64:9

NANCY [1] 64:5

Nancy [1] 64:18

National [1] 13:22

national [1] 9:1

nature [6] 18:12, 20; 26:14; 27:5,  
21; 61:18

needing [1] 46:24

needs [1] 49:23

Nine [1] 53:1

nine [2] 5:5; 49:21

Nolan [4] 3:5; 12:2; 32:5; 49:12

non-DOE [1] 31:12

noncarcinogenic [3] 8:10; 9:3;  
54:9

noncarcinogens [1] 25:6

North [20] 3:10; 4:9; 6:23; 7:4,  
17; 9:25; 11:1; 13:21; 14:2, 5, 12;

15:19; 16:1, 6; 28:10; 32:25;

35:21; 36:2; 49:8; 51:25

north [1] 14:4

Notary [2] 64:5, 18

notice [2] 3:18; 57:15

noticed [1] 63:10

noticing [1] 56:14

NOVAK [2] 45:18; 62:12

Novak [2] 45:18; 62:12

November [1] 64:22

NRF [1] 11:16

nuclear [6] 14:7, 11, 23; 15:4, 14

Number [2] 4:2; 5:8

number [6] 17:3; 18:21; 26:9;

40:23; 48:5; 57:21

numbers [3] 7:1; 57:14, 23

---

**- O -**

---

objectives [1] 18:10

observe [1] 48:8

obtained [1] 49:14

obvious [1] 48:11

obviously [1] 47:3

occupational [2] 55:21, 24

occurred [1] 53:17

off-site [1] 35:14

offer [1] 12:16

offices [1] 14:16

oil [2] 45:8; 48:11

Okay [4] 42:9; 46:1; 56:24; 63:13

okay [1] 61:2

older [1] 39:11

on-going [1] 6:2

ones [2] 48:21; 51:1

ongoing [2] 7:6, 18

open [1] 43:8

Operable [4] 6:25; 7:1, 10; 19:23

operate [1] 16:25

operating [1] 17:7

operation [2] 16:23; 45:9

operational [1] 23:23

operations [2] 33:24; 52:14

opinions [1] 12:6

opposed [2] 45:24; 57:7

option [1] 37:25

options [1] 27:1

oral [1] 42:16

orally [1] 10:6

order [3] 18:19; 31:16; 34:18

orders [1] 54:25

ordnance [2] 5:20, 21

organ [2] 8:12; 39:13

organic [5] 17:11; 19:19; 35:10;  
36:7; 60:2

organics [3] 19:6, 7; 23:13

originally [2] 14:5; 16:24

outcomes [1] 48:5

outdoor [8] 37:7; 56:19; 57:7;  
58:10, 20; 62:14, 17, 19

outdoors [1] 58:17

outside [5] 4:17; 28:25; 30:20;  
38:3; 63:3

overall [1] 32:3

overview [2] 4:20; 6:9

oxidation [1] 27:4

oxydation [1] 15:12

ozone [1] 35:2

---

**- P -**

---

p.m. [1] 63:24

package [1] 51:22

page [1] 54:19

paid [1] 42:18

parameters [1] 40:2

part [9] 4:9, 10; 21:23; 31:20;

39:16; 42:23; 46:17, 19

part-per-million [1] 60:18

participation [1] 11:12

parts [7] 4:8; 8:6; 9:23; 30:25;

31:2; 36:4; 47:14

path [3] 61:20, 22; 62:1

pathway [13] 41:21; 56:17; 57:2,  
7, 11; 58:10, 18; 60:20, 22; 62:13,

14, 17, 19

pathways [4] 23:10; 58:4, 8, 11

PCE [1] 19:10

people [5] 10:13; 24:25; 28:20;  
39:11; 47:6

percent [1] 36:11

percentiles [1] 40:1

performed [3] 16:16; 25:13;  
36:19period [17] 3:11; 10:2, 4; 13:8;  
32:7, 14, 17; 42:6, 12, 14, 24;

61:4, 7; 63:15, 16, 19

periods [1] 3:20

permitted [1] 35:14

person [1] 59:22

pertinence [1] 26:16

petroleum [1] 53:19

phase [1] 18:4

photographs [1] 51:10

physical [2] 26:15; 28:22

pick [1] 4:22  
 picked [1] 31:10  
 piece [6] 29:11, 13, 17; 30:15, 23; 63:11  
 pipe [1] 15:22  
 place [4] 26:17; 27:5, 7; 64:8  
 placed [1] 5:23  
 Plain [2] 15:23; 21:15  
 plan [7] 4:8; 17:20; 28:8; 42:17; 51:1; 54:17, 22  
 planned [1] 16:25  
 please [6] 12:15; 32:15; 42:25; 46:15; 61:5; 63:22  
 pleased [3] 4:25; 5:8, 11  
 plot [1] 41:8  
 plume [27] 16:9; 20:7, 11, 12, 14, 15; 21:2; 23:6; 24:10; 29:1, 4, 18; 30:19; 31:6, 15; 32:20; 33:9; 35:23; 36:4, 13, 15, 16; 38:17; 40:16, 17; 45:5, 25  
 plumes [1] 38:3  
 point [10] 20:16; 22:6; 36:16; 40:9; 56:9; 58:6, 23; 60:9, 19  
 points [1] 20:23  
 pollution [1] 58:14  
 Pond [1] 5:19  
 ponds [1] 52:22  
 pool [1] 14:19  
 population [8] 9:11; 24:17; 38:25; 39:1, 8, 10; 54:12  
 populations [1] 24:5  
 portion [7] 14:2; 29:18; 31:6; 35:11, 13; 46:5, 8  
 pose [2] 8:4; 55:9  
 posed [2] 18:18; 22:22  
 postage [1] 42:18  
 potential [6] 9:5; 28:2; 52:17; 53:25; 54:3, 6  
 potentially [8] 22:2; 25:17, 25; 26:10; 46:24; 50:10, 11, 17  
 pounds [3] 17:10; 34:23, 25  
 powered [2] 14:7, 23  
 preaddressed [1] 42:19  
 preexisting [1] 49:13  
 prefer [2] 17:21  
 preferred [6] 11:24; 18:8; 28:7; 29:9; 31:13; 43:16  
 preliminary [6] 7:8; 46:10; 47:13; 48:24; 49:22; 55:4  
 present [9] 12:4; 18:2, 5; 23:2; 52:18; 53:1; 54:15, 21; 55:6  
 presentation [5] 9:20, 24; 13:7, 10; 46:17  
 presented [4] 17:20; 51:22; 55:21; 57:17  
 presenter [1] 49:4  
 presenters [1] 6:15  
 presenting [2] 3:7; 49:10  
 presents [1] 28:9  
 pressure [2] 38:16; 63:3  
 pretreatment [2] 35:2, 13  
 pretty [4] 15:25; 43:13; 46:18; 55:19  
 prevent [2] 26:17; 28:20  
 previous [1] 12:20  
 previously [1] 43:15  
 primarily [1] 37:10  
 primary [1] 37:18  
 principal [1] 17:13  
 probabilistic [1] 40:5  
 probability [1] 39:23

probable [1] 25:8  
 problem [9] 11:18, 22; 12:1; 15:19; 31:21; 32:2; 44:5; 45:22; 54:21  
 problems [4] 26:21; 43:19; 47:3, 10  
 process [20] 3:19; 10:14; 11:12; 15:12; 16:2; 27:1; 31:25; 35:1, 12, 13; 44:22; 47:13; 48:3; 49:15; 50:21; 51:9; 55:17; 59:2; 60:10; 62:8  
 processed [1] 52:22  
 processes [1] 49:13  
 product [1] 50:7  
 production [4] 23:2, 22; 36:1, 7  
 Program [1] 4:15  
 program [7] 4:20, 21; 5:1; 6:11; 7:25; 14:9; 46:22  
 programmatic [1] 6:9  
 programs [1] 15:10  
 Project [2] 11:1; 13:15  
 project [4] 12:19, 21; 18:4; 49:7  
 projects [4] 3:9, 11; 9:19; 11:16  
 proposal [2] 12:24; 13:1  
 proposals [1] 13:2  
 proposed [6] 4:8; 17:20; 28:8; 42:17; 54:17, 22  
 proposing [1] 12:7  
 protect [1] 27:16  
 Protection [1] 10:21  
 protection [2] 27:15; 44:17  
 provide [5] 10:6; 17:15; 22:17; 29:24; 40:10  
 Public [2] 64:5, 19  
 public [8] 3:8, 20; 11:12; 12:24; 16:19; 27:23; 49:2; 51:3  
 published [1] 55:19  
 pull [6] 24:22; 26:22; 27:2; 29:25; 45:11; 51:2  
 pulled [3] 24:9; 34:21; 47:8  
 pulling [1] 37:23  
 pump [1] 24:21  
 pumping [2] 17:1, 4  
 pure [1] 62:8  
 purely [1] 35:24  
 purpley [1] 52:9  
 purpose [1] 12:2  
 putting [4] 12:22; 28:24; 49:2; 50:22

---

- Q -

qualitative [2] 40:4; 51:21  
 quality [1] 21:14  
 question [12] 10:1, 2, 3; 13:7, 10; 26:1; 32:7; 38:6; 39:21; 41:15; 50:25; 61:8  
 questions [12] 12:5, 15; 32:15, 19; 41:25; 42:1, 10, 11; 51:7; 55:12, 13; 61:1  
 quick [3] 13:9; 46:18; 47:19  
 quickly [1] 30:2  
 quiet [1] 32:8

---

- R -

radioactive [3] 14:20; 28:10; 53:16  
 radionuclide [1] 53:21  
 radionuclides [3] 19:6, 11; 36:8  
 radon [3] 58:15; 59:18; 63:5  
 RAGS [1] 59:10

range [17] 8:18, 20, 22, 23; 17:17; 18:5; 24:2, 23; 25:2, 16, 20; 26:3; 27:11; 54:5, 20; 55:1; 60:18  
 ranges [3] 21:9; 24:14; 57:17  
 rate [1] 17:4  
 ratio [2] 43:25; 45:21  
 Reactor [6] 15:1, 3, 10; 20:6; 52:6, 20  
 read [2] 43:12; 51:1  
 real [4] 4:14, 25; 5:8, 16  
 reason [5] 21:20; 25:22; 31:9; 38:13; 56:10  
 reasonable [2] 31:10; 56:13  
 reasons [4] 3:25; 4:2; 27:24; 62:15  
 reassess [1] 44:14  
 receive [1] 4:4  
 received [1] 3:12  
 receptor [1] 55:24  
 recess [1] 46:13  
 recommendation [1] 49:17  
 recommendations [1] 49:10  
 recommending [1] 55:3  
 Record [4] 5:7; 12:12; 44:22, 23  
 record [2] 51:4; 64:11  
 Records [1] 5:5  
 records [2] 49:16; 55:5  
 recovery [3] 30:5, 6, 7  
 recycled [2] 35:6, 14  
 reduce [2] 31:7; 40:20  
 reduced [1] 64:9  
 reduction [2] 40:24; 41:1  
 reestablished [1] 50:4  
 refer [3] 4:1, 12; 47:14  
 referring [1] 9:18  
 refine [1] 25:23  
 refined [1] 18:7  
 refueling [1] 52:12  
 Region [1] 10:21  
 reinject [1] 26:24  
 reinjected [1] 30:12  
 related [1] 15:20  
 relationship [1] 43:23  
 releases [1] 8:3  
 remaining [1] 50:5  
 Remedial [11] 16:20; 17:14, 16; 18:1, 3, 9, 11; 19:1; 36:24; 44:15; 48:18  
 remedial [8] 11:23; 12:4, 6, 10; 19:23; 25:24; 43:15; 60:6  
 remediate [1] 29:17  
 remediation [5] 21:20; 22:1; 27:7; 28:9; 29:23  
 remember [5] 34:8; 40:16; 46:3; 58:25; 63:16  
 removal [4] 16:16; 26:19; 30:3; 48:12  
 remove [3] 28:13; 29:14; 30:24  
 removed [8] 16:17; 17:10; 30:11; 34:22, 23, 24; 50:3, 16  
 removing [2] 17:5, 8  
 repeat [1] 7:24  
 report [1] 36:24  
 REPORTER [1] 64:1  
 reporter [4] 10:7; 32:10; 42:17; 61:6  
 represented [1] 36:16  
 represents [1] 20:2  
 require [1] 53:2  
 required [2] 8:22, 23

Research [5] 15:3, 10; 20:6; 52:6, 20  
 research [4] 14:6, 10; 15:4; 51:4  
 resident [1] 24:19  
 residential [5] 23:5; 24:8; 37:6; 55:25; 56:1  
 residents [1] 23:16  
 residual [2] 22:15; 41:8  
 residuals [1] 45:23  
 resources [1] 31:20  
 respect [7] 18:9; 20:17; 21:19, 25; 22:7; 25:5; 38:19  
 respond [1] 63:10  
 response [3] 26:7; 44:21, 24  
 responses [1] 44:25  
 restate [1] 60:23  
 Restoration [1] 4:15  
 restore [1] 31:7  
 restrictions [2] 26:13; 29:2  
 result [2] 19:14; 21:7  
 retardation [1] 33:15  
 Reuel [3] 4:17; 41:3; 43:3  
 review [1] 51:23  
 RI [6] 21:7; 22:21; 30:21, 22; 31:24; 34:15  
 Right [3] 39:6; 45:15; 57:18  
 right [13] 6:2; 15:21; 24:15; 32:11; 33:4; 34:18; 35:23; 36:3; 40:16; 42:1, 9; 45:14; 56:2  
 risk [58] 8:4, 5, 6, 8, 9, 11, 14, 18, 19, 20, 22, 23; 9:3, 5; 11:5; 23:24; 24:11, 13, 23, 24; 25:4, 12; 36:10; 37:1; 38:9, 12; 39:16, 22, 23, 24; 40:13, 15, 16, 20, 24; 41:1, 8; 48:8; 51:21; 53:5, 6, 7, 23; 54:1, 3, 4, 6, 8, 19, 25; 55:7; 57:14, 23, 25; 58:19; 59:1, 21  
 risks [3] 18:18; 22:22; 23:20  
 River [2] 15:23; 21:15  
 room [1] 11:13  
 rough [1] 40:23  
 rounds [1] 18:24  
 route [3] 26:15; 55:22; 58:13  
 routes [2] 55:20; 56:11  
 routine [1] 16:11  
 run [3] 17:3; 26:3; 32:2  
 RWMC [2] 11:16; 60:3

---

- S -

sample [2] 47:19; 59:4  
 sampling [4] 16:12; 18:25; 51:17; 55:6  
 samplings [1] 19:17  
 sand [1] 21:9  
 sanitary [2] 16:3; 52:23  
 satisfy [1] 44:17  
 save [2] 32:2, 16  
 scale [3] 4:11; 7:9; 47:10  
 scenario [23] 22:25; 23:7, 21; 24:4, 8, 9; 37:7, 8, 25; 38:1; 41:16; 55:25; 56:1, 7, 12, 13, 16; 57:5, 6, 8, 12; 62:22  
 scenarios [9] 22:24; 23:5, 9, 20; 37:20, 22; 41:9; 55:15, 20  
 schedule [1] 5:15  
 schedules [1] 5:12  
 SCHWARTZ [1] 64:5  
 Schwartz [1] 64:18  
 scope [1] 16:20  
 screen [1] 25:19

screening [3] 26:5; 27:13; 28:1  
 seal [1] 64:15  
 seat [1] 46:15  
 Seattle [1] 10:22  
 second [11] 4:3, 10; 20:16;  
 22:21; 23:7; 25:19; 28:17; 29:13;  
 46:8, 17, 19  
 secondary [1] 29:15  
 secondly [3] 18:17; 21:25; 23:13  
 sedimentary [1] 20:22  
 sediments [3] 20:20; 38:21;  
 45:23  
 semiannual [1] 6:8  
 send [1] 42:20  
 sense [1] 57:4  
 sensitive [11] 9:11; 24:5, 17;  
 38:25; 39:1, 7, 9; 54:11; 56:11,  
 12; 57:20  
 series [1] 51:6  
 setting [1] 59:1  
 seven [1] 19:3  
 sewage [1] 16:3  
 sheet [1] 42:18  
 Shop [1] 14:19  
 shops [2] 14:15  
 shorthand [1] 64:8  
 show [1] 51:3  
 shower [1] 41:16  
 showering [1] 37:17  
 shows [1] 54:19  
 shy [1] 32:8  
 sides [1] 62:24  
 sign [1] 43:3  
 signatories [1] 10:16  
 signed [4] 5:1; 43:7, 9; 46:20  
 significant [4] 17:6; 35:3, 11;  
 41:20  
 signs [1] 28:23  
 silt [1] 21:8  
 siphon [1] 26:17  
 site [35] 5:23; 6:21; 12:20, 23;  
 13:23, 24; 14:2; 25:17, 25; 28:5;  
 31:11; 35:6, 23; 36:1; 48:17, 21;  
 49:16; 50:3, 14; 51:8, 10, 12, 13,  
 15, 16, 18, 21; 53:10, 16, 22;  
 54:21, 25; 57:21; 60:11  
 sites [52] 7:2, 9, 11; 11:5, 8;  
 12:11, 16; 46:23; 47:1, 5, 9; 48:2;  
 49:5, 11, 18, 20, 24, 25; 50:5, 9,  
 10, 12, 15, 17, 18, 19; 52:15, 18,  
 19, 24, 25; 53:1, 4, 8, 11, 13, 15;  
 54:3, 4, 15, 17, 18, 23; 55:2, 4, 7,  
 9; 60:2, 11, 12, 16  
 situ [1] 27:7  
 situation [2] 4:6; 9:2  
 six [3] 26:6; 40:21, 22  
 size [1] 57:20  
 skill [1] 64:12  
 slowly [2] 32:21, 24  
 sludge [3] 16:16, 17; 34:23  
 smaller [4] 7:9; 22:1, 2; 47:10  
 SMITH [2] 41:5; 43:5  
 Snake [2] 15:23; 21:14  
 so-called [1] 45:6  
 soap [2] 30:9; 45:11  
 soapy [2] 30:8; 45:6  
 soil [7] 50:10; 52:15; 53:22;  
 56:20; 58:2; 59:4, 15  
 solubilize [1] 30:9  
 solve [1] 44:4  
 solved [1] 11:20

somebody [1] 59:23  
 someone [2] 8:25; 56:2  
 somewhere [1] 35:9  
 sophisticated [1] 34:12  
 sort [3] 40:12; 41:15, 23  
 sorts [1] 8:13  
 source [5] 29:15; 31:16, 18, 19;  
 40:17  
 southern [1] 14:1  
 sparging [2] 16:12; 36:5  
 speak [4] 32:11; 61:6; 63:11  
 specific [1] 61:8  
 specifically [3] 59:13, 17, 23  
 specifics [2] 28:6; 36:23  
 spending [4] 40:19, 21; 41:2;  
 43:20  
 spent [1] 43:24  
 spill [3] 47:7; 48:11; 53:16  
 spoken [1] 29:12  
 spread [2] 28:13; 56:4  
 spreading [1] 30:2  
 square [1] 13:25  
 ss [1] 64:3  
 stabilized [1] 50:8  
 stage [1] 25:19  
 stages [1] 25:15  
 stand [3] 42:25; 43:10; 61:5  
 standard [2] 16:15; 31:3  
 standards [6] 21:16, 18; 30:13,  
 14; 31:9; 59:16  
 stands [1] 60:20  
 start [6] 3:15; 6:17; 7:17; 32:7;  
 42:9, 12  
 started [4] 3:4; 13:6; 35:1; 46:16  
 starts [2] 34:16, 17  
 STATE [1] 64:2  
 State [9] 5:4; 10:15, 25; 11:11;  
 12:25; 27:23; 43:1; 64:6, 20  
 state [4] 11:2; 27:18; 42:25; 61:5  
 statement [2] 10:20; 39:5  
 station [1] 14:17  
 stationary [1] 32:21  
 stay [2] 55:12; 63:19  
 steam [4] 30:4; 45:5, 7, 13  
 step [3] 22:21; 44:21; 58:2  
 Steve [2] 45:18; 62:12  
 stick [1] 42:3  
 stipulates [1] 55:20  
 stirred [1] 62:2  
 stop [1] 13:11  
 storage [7] 35:20; 50:2; 52:10,  
 11; 53:12, 13, 14  
 stored [4] 14:18; 35:9; 50:5, 13  
 STORMBERG [19] 17:23; 33:5,  
 10, 19, 23; 34:3, 6, 13; 36:22;  
 37:4, 21; 38:4, 19; 39:9; 41:3, 6,  
 18, 24; 59:25  
 Stormberg [2] 17:12, 22  
 straight [1] 47:17  
 strategy [2] 12:7; 32:1  
 stripping [1] 27:3  
 strontium-90 [1] 19:12  
 Studies [1] 48:18  
 studies [1] 46:10  
 Study [7] 16:21; 17:14, 17; 18:1;  
 25:14, 15; 41:4  
 study [1] 43:18  
 stuff [1] 34:21  
 sub [1] 60:18  
 subject [2] 14:3; 16:22  
 subjects [1] 6:13

submit [2] 46:3; 63:17  
 submitted [2] 3:14; 44:20  
 substances [2] 8:3; 45:3  
 subsurface [1] 20:19  
 sucked [1] 63:2  
 sucks [1] 38:17  
 suggests [1] 28:12  
 summary [2] 44:24; 55:2  
 supercritical [1] 15:11  
 Superfund [2] 8:1; 39:24  
 supply [4] 16:13; 26:12; 28:25;  
 36:1  
 Support [5] 14:13; 15:17; 20:4;  
 52:5, 17  
 support [2] 14:6, 14  
 surface [2] 21:3; 62:2  
 Surfactant [1] 30:6  
 surfactant [1] 30:5  
 surprises [3] 17:4; 19:14; 44:9  
 susceptible [1] 39:12  
 symbolized [1] 18:22  
 system [3] 16:12; 19:20; 36:5

---

- T -

---

T.J. [4] 49:3, 5, 7; 55:12  
 table [6] 32:24; 40:10; 54:18;  
 55:1, 15; 58:2  
 tables [1] 51:7  
 takes [1] 38:17  
 talk [12] 6:14; 7:23, 25; 8:7, 14;  
 9:19; 28:5; 42:3; 46:9; 61:9; 62:5;  
 63:20  
 talked [6] 9:5, 6; 38:14; 44:18;  
 47:2; 51:24  
 talking [15] 4:8; 6:1, 23; 7:3, 7,  
 10; 9:16; 34:9, 18; 39:4; 40:4;  
 48:22; 49:20; 50:24; 56:8  
 TAN [12] 5:25; 20:17, 19; 21:5,  
 20; 28:4; 33:11; 47:2; 48:19;  
 49:20; 52:6, 24  
 tank [5] 15:9; 47:8; 53:12, 13, 15  
 tanks [6] 50:2, 5; 52:10, 11, 12  
 TCE [5] 16:7; 19:7; 20:1, 14;  
 33:14  
 team [1] 11:3  
 Technical [4] 14:13; 15:17; 20:4;  
 52:17  
 Technologies [1] 34:11  
 technologies [10] 18:6, 7; 25:23;  
 26:9, 14, 25; 27:6, 7; 28:3; 30:3  
 technology [3] 27:10, 16; 29:14  
 Ten [1] 50:9  
 ten [8] 6:19; 40:18, 20, 22; 46:11;  
 56:4; 57:9; 63:1  
 ten-minute [2] 46:6, 11  
 term [4] 5:22; 27:19; 39:10  
 termed [1] 52:25  
 terms [1] 4:15  
 Test [32] 3:9; 4:9; 6:22; 7:3, 17;  
 9:24; 10:25; 13:20; 14:2, 5, 12,  
 22; 15:2, 3, 7, 10, 19; 16:1, 6;  
 20:6; 28:10; 32:24; 35:21; 36:2;  
 49:8; 51:25; 52:2, 3, 4, 6, 16, 20  
 test [1] 14:22  
 testing [1] 41:23  
 tetrachloroethene [1] 19:10  
 Thank [5] 12:17; 13:5; 32:6; 46:1;  
 63:9  
 thank [4] 3:13; 12:14; 46:4; 63:15  
 Thanks [1] 63:20

theory [1] 31:7  
 thereafter [1] 64:9  
 therein [1] 64:8  
 they've [2] 50:6; 60:13  
 thick [3] 21:1, 10; 38:21  
 thickness [2] 21:10; 22:4  
 third [3] 29:17; 30:15, 23  
 thoroughly [1] 43:13  
 three [16] 5:2, 3, 13; 22:24; 23:9,  
 20; 25:14; 29:10; 33:16; 43:25;  
 44:4, 6; 50:4, 17, 21; 58:25  
 Three-mile [1] 14:18  
 threshold [1] 9:4  
 tied [1] 7:5  
 ties [1] 7:15  
 times [4] 38:14; 40:18, 20, 22  
 toluene [3] 53:20; 54:10; 63:6  
 Tonight [3] 4:7; 7:3; 48:20  
 tonight [31] 3:6, 9; 6:1, 14, 24;  
 7:11; 9:16, 23; 10:13, 18; 11:3,  
 10, 14, 19, 25; 12:3, 17; 14:3;  
 16:22; 27:25; 42:16; 43:14; 44:20;  
 46:18; 49:1, 21, 25; 50:25; 53:3;  
 63:13, 22

total [7] 23:23; 24:11, 23, 24;  
 44:2, 3; 49:19  
 totally [1] 61:13  
 towards [1] 30:10  
 toxic [1] 63:7  
 toxicologist [1] 11:4  
 TRA [1] 5:18  
 Track [21] 4:12; 47:15, 16, 17,  
 23; 48:4, 21; 49:9, 12, 19, 22;  
 50:20; 51:2; 52:24; 55:17; 59:1, 7;  
 60:7  
 transcript [1] 64:10  
 treat [3] 26:23; 27:2; 31:5  
 treated [5] 30:12; 34:22; 36:4;  
 45:16  
 treating [3] 17:9; 30:16, 17  
 treatment [6] 15:12; 16:4; 26:25;  
 27:5; 35:1, 12  
 trichloroethene [1] 16:6  
 trichloroethane [1] 31:1  
 trichloroethylene [1] 16:7  
 tritium [1] 19:12  
 true [1] 64:11  
 type [3] 45:9; 46:25; 64:9  
 types [7] 8:11; 18:5, 13; 53:8, 11,  
 12, 18  
 typical [2] 39:13; 53:19

---

- U -

---

unacceptable [2] 25:3, 11  
 uncertain [1] 38:13  
 uncertainty [2] 36:21; 40:2  
 underground [7] 47:8; 50:1;  
 52:10, 11; 53:12, 13, 14  
 understand [2] 51:11; 57:10  
 undissolved [2] 22:15; 29:14  
 Unit [1] 19:23  
 unit [2] 35:2, 5  
 Units [3] 6:25; 7:1, 10  
 universe [1] 25:20  
 unknown [1] 50:13  
 unlikely [1] 24:16  
 update [1] 4:14  
 upper [3] 21:22; 38:11; 40:8  
 uranium-234 [1] 19:13  
 uses [2] 31:12; 35:2

utilize [1] 24:22

UV [1] 27:4

---

- V -

---

vadose [4] 37:24; 38:20, 23; 60:3

value [4] 36:13; 38:9, 12; 39:25

values [6] 36:9, 11; 40:9; 55:16; 58:20

vapor [1] 38:22

vapors [1] 37:12

variables [1] 57:22

vehicle [2] 14:15; 52:12

velocity [1] 33:1

verbal [1] 12:9

versus [1] 40:15

vertical [1] 20:18

viable [5] 11:23; 25:16, 17; 28:4; 38:1

vicinity [4] 22:11, 16; 29:16; 33:11

view [2] 15:16; 56:9

visit [1] 51:16

visitors [1] 23:1

vitrification [1] 27:8

volatile [5] 19:5, 6, 19; 23:13; 56:9

volatiles [3] 23:13; 60:5; 63:5

volatilization [7] 56:21, 25;

57:11, 16; 58:6, 11; 60:22

volume [2] 22:2

---

- W -

---

WAG [1] 13:19

WAG-wide [2] 30:21; 31:23

walk [1] 13:12

walls [1] 62:24

wanted [3] 10:11; 20:23, 24

wants [2] 41:12; 42:7

Warm [1] 5:19

warrant [1] 41:20

Waste [9] 5:19; 6:19, 22, 24; 7:15, 19; 10:24; 13:16, 20

waste [6] 5:13; 15:25; 16:3; 22:8; 50:18; 52:19

Water [5] 15:2, 10; 20:6; 52:6, 20

water [48] 15:12; 16:1, 3, 11, 13, 14; 21:16, 18; 22:2; 23:1, 5, 7, 14,

18, 22; 24:9, 20, 22; 25:10, 12; 26:12, 17, 22, 23; 27:2; 28:20, 21;

30:8, 12, 13, 14; 31:3, 8; 32:24; 35:23; 36:2, 4; 37:11, 12, 13, 14;

50:18; 52:19, 21, 22, 23; 58:1; 59:16

ways [2] 8:16; 60:1

We'll [7] 7:7; 32:6; 42:9; 43:6; 46:6; 49:20; 55:11

we'll [24] 3:16, 17; 6:1; 7:3, 10; 9:23, 24; 10:1, 4; 12:7; 13:4;

18:17; 20:14; 32:12, 13; 36:25; 42:5, 20; 43:7; 46:7, 9, 10, 15; 47:19

We're [1] 11:10

we're [38] 3:10; 4:7, 25; 5:8, 11, 16; 6:13, 18, 23; 8:2; 9:12, 15;

11:16; 12:21; 19:3, 13; 20:19;

22:1; 23:22; 24:1; 25:2, 18; 27:24;

31:19, 24; 32:17; 33:14; 34:9, 18;

36:6, 8; 37:22, 23; 40:24; 42:14;

48:21; 49:1; 50:24

We've [3] 12:24; 19:16; 34:24

we've [6] 13:3; 19:18; 27:9;

29:12; 43:13; 59:20

week [1] 12:21

weighted [2] 36:14, 17

weighting [1] 36:18

welcome [4] 3:8; 4:22; 11:9; 42:21

Welfare [1] 10:19

wells [7] 18:21; 23:23; 26:21, 22; 33:8; 36:1, 7

weren't [1] 19:15

west [1] 13:24

whenever [1] 7:25

WHITE [5] 43:12; 45:1, 17; 61:12; 62:9

White [5] 43:12; 45:19; 61:11, 12; 62:15

wide [2] 16:9; 20:8

wide-spread [1] 16:5

widely [5] 19:8; 20:10, 12; 26:20; 33:13

wider [3] 30:19; 31:17, 23

widest [2] 20:2

WILKENING [1] 12:18

Wilkening [2] 10:20; 12:18

wind [5] 9:17; 61:25; 62:3, 16, 20

Winter [1] 11:6

winter [1] 6:7

wish [1] 32:11

WITNESS [1] 64:15

won't [2] 3:7; 53:3

wondered [1] 35:8

word [2] 50:11, 17

words [2] 33:3; 40:8

work [2] 5:2; 14:20

worked [2] 11:21; 12:25

workers [1] 23:1

working [1] 10:25

works [3] 45:7, 8; 49:4

worst [2] 31:20; 33:12

worth [1] 43:20

wouldn't [1] 28:12

writing [2] 46:3; 63:18

written [3] 3:12; 12:9; 44:24

WRRTF [1] 52:7

---

- X -

---

xylene [2] 53:21; 54:10

---

- Y -

---

Yeah [2] 58:15; 62:9

year [7] 5:15; 7:18; 16:24; 23:3; 34:7, 17; 49:10

years [13] 5:3, 15, 24; 11:21; 22:9; 33:24; 34:2, 7, 19; 50:22;

58:25

you'll [4] 3:18; 11:18, 25; 44:12

You've [1] 32:8

you've [1] 61:24

young [1] 39:11

---

- Z -

---

zone [4] 37:24; 38:20, 23; 60:3